



1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

PUBLIC HEARING

100089

* * *

IN RE:

SKINNER LANDFILL SUPERFUND SITE

* * *

TRANSCRIPT OF PROCEEDINGS

* * *

BE IT REMEMBERED, that the above-entitled meeting
commenced at the Union Township Administrative Building,
9113 Cincinnati-Dayton Road, West Chester, Ohio, on Wednesday,
May 20, 1992, at 7:10 p.m.

* * *

COPY

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

I N D E X

SKINNER LANDFILL SUPERFUND SITE

Public Hearing

Page 3

- - -

1 SKINNER LANDFILL SUPERFUND SITE

2 PUBLIC MEETING

3

4 MS. CHERYL ALLEN: Good evening, everybody,
5 and thanks for coming. My name is Cheryl Allen, and I'm the
6 Community Relations Coordinator with U.S. EPA and your
7 moderator for tonight's meeting.

8 I hope when you came in this evening that
9 you signed your name to the sign-in sheet as that adds your
10 name to any future fact sheets or updates on Skinner Landfill.
11 If you'd like to get further information about Skinner I
12 encourage you to visit the information repository located at
13 the Union Township Library, 7900 Cox Road in West Chester.
14 Now, the repository contains laws, relation plans and other
15 documents about the investigation at the Skinner Superfund
16 Site.

17 Now, the purpose of tonight's meeting is to
18 discuss with you the Feasibility Study and proposed plan for
19 the Skinner Landfill and most importantly to take your oral
20 comments on the proposed alternatives to clean up the site.
21 The public comment period on the Feasibility Study and the
22 proposed plan is the next step in selecting a final remedial
23 action for the cleanup of the Skinner Landfill site. The
24 comment period provides the opportunity for local residents to
25 express their thoughts and give comments to U.S. EPA on all of

1 the remedial alternatives concerning the site. Based on the
2 public comments we receive tonight through oral comments and
3 through the mail, EPA may modify the proposed plan or choose
4 another alternative developed from the Feasibility Study.

5 Following the public comment, EPA prepares
6 what is called a Responsiveness Summary which will address all
7 the public comments that we receive here tonight and through
8 the mail. EPA will then cite a ROD, or Record of Decision,
9 which is a document that outlines the cleanup action which will
10 be implemented at the site. After the Record of Decision a
11 design is completed and the cleanup will begin at the site.
12 Now, the oral comment period for Skinner was scheduled to
13 conclude on May 27th, 1992, but based on a request for an
14 extension the comment period will now conclude on July 13th; so
15 you can continue to send written comments to me at the address
16 listed inside the fact sheet or you can give your oral comments
17 here this evening.

18 A component of EPA's preferred alternative
19 is incineration. In late June, U.S. EPA will conduct an
20 incineration workshop which will focus in more detail on your
21 questions and concerns about incineration. We have also
22 provided you with a question-and-answer fact sheet on
23 incineration; and if you didn't get that, they're on their way.
24 We will be notifying you in the future as to the time, date and
25 location of the workshop within the next few weeks.

1 Right now I'd like to briefly go over the
2 agenda for tonight's meeting and introduce to you our
3 presenters. Fred Bartman is the Remedial Project Manager for
4 U.S. EPA, and he will give the site background and explain the
5 remedial investigation. Sheila Sullivan is also Remedial
6 Project Manager for U.S. EPA, and she will explain the Risk
7 Assessment results and explain the evaluation of the
8 alternatives. Then Fred will come back and explain the
9 proposed alternative, and Sheila will address some of the
10 community concerns we have received thus far through the mail
11 and through telephone conversations.

12 I'd like to also recognize Mark Sheahan who
13 is Remedial Technologies Coordinator for Ohio EPA. And in the
14 audience this evening we have Kathy Lee Fox. Where are you,
15 Kathy? She's the new Site Coordinator for Ohio EPA for Skinner
16 Landfill; and she is located out at the Southwest District
17 Office in Dayton. Mike Scarky is a Group Leader for Ohio EPA.
18 Jane Taft, she is the Public Involvement Coordinator for
19 Ohio EPA. Bill Troxler is from Focus Environmental,
20 Incorporated. It's an incineration consulting firm. And
21 Gina -- she's probably out front. She was the young lady that
22 was signing everyone in -- she was the former Community
23 Relations Coordinator for Skinner.

24 Now, after all the presentations are made
25 you will have an opportunity to ask questions; and then after

1 the question-and-answer period we will begin the public comment
2 portion of the meeting. During that time anyone who wishes to
3 make any statements about the proposed remedy of Skinner may do
4 so. And we ask you to state your name for public record
5 because we have a court reporter here who is recording the
6 whole proceeding; and we will be officially doing that because
7 we need all your comments to respond in the Responsiveness
8 Summary, as I explained earlier.

9 So, right now I'd like to introduce
10 Fred Bartman. And Fred?

11 MR. FRED BARTMAN: Welcome everyone.
12 Welcome to another one of our meetings. We had a meeting a
13 little less than a year ago regarding the RI background. We
14 have a lot of material to cover, so I'm just going to touch on
15 the highlights of our investigation.

16 Waste has been sent to this site since at
17 least 1955.

18 UNIDENTIFIED SPEAKER: Excuse me. Can you
19 turn the speaker up a bit? People can't hear.

20 MR. FRED BARTMAN: It's mostly trash and
21 demo material that's been sent to the site, but there is
22 hazardous waste. EPA estimates there is over one million
23 gallons of hazardous waste that's been sent to this site. All
24 waste disposal is confined to a 15-acre area of the site. The
25 majority of the hazardous waste, we believe, is disposed in a

1 waste lagoon. This is the same waste lagoon that was
2 discovered by the Fire Department and investigated by Ohio EPA
3 in 1976. Since then there's been demo material placed on top
4 of this waste lagoon from 1985 to 1990.

5 We also looked at other areas of the site
6 where there may have been potential dumping. There's three
7 ponds on site and the two creeks that border the site; and
8 there was a darkened, stained area referred to in the reports
9 as a buried pit. But our investigation focused mainly on the
10 landfill and the waste lagoon area.

11 (Viewing overhead projector.)

12 This is a cross-section of the site near
13 the waste lagoon area. This top layer is the demo material
14 that's currently on top of the waste lagoon. Below that are
15 the soils that made up the former waste lagoon sediment. This
16 includes the pink and purple areas. The blueish areas
17 represent a clay silt layer; and there's been very little
18 vertical migration in those areas. The green area represents
19 sand and gravel. It's a more permeable zone and that's where
20 we've had our greatest migration.

21 And contamination has migrated down into
22 ground water. In one well, GW-20, which is located nearest the
23 landfill, we detected primarily VOCs ranging in concentrations
24 from 10 to 80 parts per billion. Ground water flow is towards
25 East Fork Mill Creek. As we approach East Fork Mill Creek the

1 concentrations get lower. In this area the concentrations are
2 very few VOC's and in the five to ten parts per billion range.
3 Ground water discharge in the East Fork Mill Creek -- and we
4 sampled the creek in the water column -- we came up with -- it
5 was nondetect; and sediments, there were some compounds above
6 background, but we don't really -- they're not really
7 ground-water related; they're more from surface runoff.

8 But this is a current snapshot of the site
9 and what will happen in the future. I guess the main
10 conclusion that can be drawn from our investigation is there is
11 a definite pathway from the waste lagoon to East Fork Mill
12 Creek. And given the nature of the highly contaminated waste
13 lagoon sediments -- and there are also buried drums near the
14 waste lagoon area -- ground water and surface water in East
15 Fork will degrade to where concentrations are much greater than
16 they are today.

17 And what does this all mean? What's the
18 risk posed under no action? Well, this is where I hand it over
19 to Sheila, and Sheila will talk about the current risks.

20 MS. SHEILA SULLIVAN: At the time of our
21 last public meeting we were in the midst of the risk
22 assessment. And so now I'd like to give you a brief overview
23 of the process and the results that we came up with.

24 UNIDENTIFIED SPEAKER: Can you speak
25 louder, please? Somehow it isn't coming through the

1 microphone.

2 MS. SHEILA SULLIVAN: The first overhead
3 here, Objectives of the Baseline Risk Assessment. We want to
4 get an idea of the current risks to the public and the
5 environment from the site and what the future risk would be at
6 the site if it were not cleaned up. That's why we call it a
7 Baseline Risk Assessment. Secondly, we want to find out how
8 much of the contaminants can be left on site without posing an
9 unacceptable risk to human health and the environment.
10 Thirdly, the Risk Assessment gives us a basis for comparing the
11 potential health impacts from all five remedial alternatives
12 that we'll be talking about later. And lastly, it gives us a
13 consistent record for documenting the health risks at the site.

14 The first step that we went through was to
15 identify our chemicals of concern at the site. We looked at
16 the data from both of the remedial investigations that were
17 conducted, and a total of about 166 chemicals were found at the
18 site. Of these, about 114 chemicals were retained and carried
19 through the risk assessment. These chemicals that were
20 retained represented all the classes of chemicals that were
21 found, which included inorganics that includes metal, volatile
22 organics, semi-volatile organics, pesticides, dioxins and
23 furans.

24 The next step is the exposure assessment.
25 And this is a critical step because we're looking at all the

1 current and future ways that humans and other organisms can
2 come in contact with site contaminants. This is also the most
3 difficult step because it involves many considerations and a
4 lot of uncertainty. There tends to be a lot of information
5 that we don't always know; and in these cases the agency uses
6 standard exposure assumptions that produce maximum exposure,
7 that is, the maximum exposure that is reasonably expected to
8 occur.

9 In the exposure assessment process there
10 are some general steps that we have to follow. Characterize
11 the physical setting of the site. We're looking at the
12 climate, meteorology, vegetation.

13 Secondly, identifying the
14 potentially-exposed populations. This could be the residents
15 on site, the 800 people at the elementary school, children at
16 the day-care center at the southwest edge of the site, people
17 in the surrounding community. We look at all these
18 populations. And we also have certain sub-populations that we
19 want to consider; and those are people that have the greatest
20 potential to come in contact with the site contaminants. These
21 would be people who work on the site or people that trespass
22 onto the site and can come in direct contact with the
23 contaminants.

24 The next step is we identify the exposure
25 pathways. This is the path a contaminant can take from the

1 site to the exposed organism. The overall site risk then is a
2 composite of all these different exposure pathways.

3 I want to go into this just a little bit.
4 There are four components to an exposure pathway. You need a
5 contaminant source and a release mechanism. This would be the
6 source itself, the site itself. And the release mechanism
7 could be volatilization, it could be leaching, something like
8 that.

9 We also need a receiving medium where the
10 contaminant goes into. Say we have leaching from the waste
11 lagoon into the creek. The creek would be the receiving
12 medium.

13 We need an exposure point. This could be
14 if a child is playing in the creek, that would be the exposure
15 point. And we also need an exposure route at that exposure
16 point; and that's going to be inhalation, ingestion, something
17 like that.

18 So, if any one of these four steps are
19 missing, you do not have a complete exposure pathway and
20 therefore you do not have exposure. So, this is a very
21 important concept that you need to be aware of.

22 OK. We also need to -- going back to
23 this -- estimate our exposure-point concentrations. And this
24 tells us what is the concentration of the contaminant, where
25 people are coming in contact with the site or the

1 contamination, what is available for a human to take up. And
2 the last is to estimate the chemical intakes. And this is how
3 much of the contaminant will the organism take into its system.

4 Now, as I mentioned earlier, when we have
5 unknown information the Agency makes conservative assumptions
6 to insure that the actual intake will be less than what we've
7 estimated. Some of the conservative assumptions we've made
8 during the risk assessment is that ground water will be used
9 for drinking water and that the waste lagoon could be developed
10 in the future for residential use. So, these are conservative
11 assumptions.

12 The next step in the process is the
13 toxicity assessment. And here we look at the inherent toxic
14 properties of the chemicals of concern, such as whether the
15 chemical causes cancer in animals or humans, or whether it
16 causes other adverse effects that are not cancer; it could be
17 anything from dizziness to organ damage to anything, anything
18 that is not cancer-related but is an adverse health effect.

19 Usually most of the data available for
20 chemicals is from animals, animal studies. So, the Agency has
21 to take this information and evaluate the likelihood of whether
22 humans would also sustain those same effects. Now, most of
23 this information is available in standard EPA data bases.

24 The last step is the risk characterization.
25 And here we combine the information from the toxicity

1 assessment and the exposure pathways to come up with the total
2 risk values for cancer and noncancer risks. Cancer risks are
3 expressed in terms of the increased probability that cancer
4 will occur due to a site-related exposure for over a lifetime,
5 which we estimate as seventy years. So, this is the risk over
6 and above what the background cancer risk rate is, which has
7 been one in four nationally.

8 This shows the numerical expression that we
9 used to express cancer risk. And this is basically one in ten
10 million. Many times you just see it written as one in ten to
11 the minus seventh exponent. And that means one in ten million
12 persons will develop cancer from a lifetime exposure to the
13 site. Another example is three times ten to the minus four.
14 That means three people in 10,000 would develop cancer due to a
15 lifetime of site-related exposure.

16 Now, the EPA has an acceptable risk range.
17 And anything within that range and below that is considered an
18 acceptable risk. And here we have one in ten to the minus
19 four -- or one in 10,000 -- to one in a million as the
20 acceptable risk range.

21 So, with that, this shows you for the
22 Skinner Landfill the current and future risk ranges we came up
23 with for both adult and child populations. OK. So, the
24 current adult population experiences a cancer risk of somewhere
25 between four and nine in 100. The current child population

1 experiences a cancer risk of somewhere between three and four
2 in 100 for a lifetime exposure to site contaminants. Under the
3 future scenario you can see that the risks are much greater
4 especially when we assume that the waste lagoon will be
5 developed residentially.

6 And you can see that we did the risk
7 assessment in two ways. We looked at if it were not developed
8 and we looked at the possibility of it being developed. And
9 you can see the risks vary between those two scenarios. But
10 the risks basically range somewhere in between one in 100 to
11 one in 1000 risk range.

12 Noncancer risks. Other adverse health
13 effects besides cancer are expressed in terms of what we call a
14 hazard index. This is simply the ratio of the average exposure
15 to the site to what is considered to be an acceptable intake
16 or, we call it, a reference dose. And if the exposure from the
17 site exceeds the acceptable exposure, then this hazard index
18 will exceed one. And that's how we tell whether something
19 produces a risk or not. The Agency considers anything less
20 than or equal to one as an acceptable noncancer risk. The
21 greater this number becomes, the greater the risk of
22 experiencing a noncancer adverse health effect. So, it gives
23 us a way to make -- to look at relative risks.

24 This shows you the noncancer risks from the
25 site. OK. You can see that the current risk to the adult

1 population is slightly larger than the child population.
2 That's because we also have the exposure group, the
3 occupational exposure group, which children are not included
4 in. So, that produces an additional exposure for adults.
5 Again, under a future scenario you can see that the noncancer
6 risks are much larger if you assume that the waste lagoon is
7 going to be developed.

8 We can also look at the risk in terms of
9 how much is presented by each of the contaminant media at the
10 site. The greatest risks are presented by the site soils and,
11 to a lesser extent, the ground water. At this point the waste
12 lagoon doesn't pose a risk because it's covered with 25 feet of
13 demolition material. Now, in the future, though, this will
14 pose a risk. We have a one in 100 risk here for future waste
15 lagoon development. And all of the risks go up a little bit.
16 See, the ground water risk is going to go up because the
17 leaching from the waste lagoon is going to go into the ground
18 water and that's going to bump that risk up. And also the
19 ground water is going to discharge into the Mill Creek, so the
20 Mill Creek risks are going to also go up.

21 And let me just flash this up here because
22 you haven't really seen a site map yet. This will give you an
23 idea of the current risks in green and the future in blue. The
24 black shows when the risk will not change between current and
25 future. Notice the sediment risks are fairly low.

1 OK. Now I'd like to go into the remedial
2 alternatives portion of the agenda. OK. After we've estimated
3 the risks for the various media at the site, we can identify
4 which media have to be cleaned up and to what level so that an
5 unacceptable risk is not posed to the human health or the
6 environment. And the Agency follows a certain process so that
7 the most appropriate clean-up plans are developed for sites.

8 The first step that we do is we establish
9 clean-up objectives for all of the media that have been
10 impacted at the site. Now, we define impacted as media that
11 has contamination that presents a cancer risk above one in
12 10,000 to one in ten million risk range, and the noncancer risk
13 which has a hazard index over one. And, also, impacted is
14 defined by if State or Federal standards and criteria designed
15 to protect the environment are exceeded. This would be LCL's
16 for drinking water or water-quality standards, something like
17 that.

18 Now I'm going to run through the different
19 media at the site and explain to you what our rationale is or
20 what our clean-up objectives were for that media. The first
21 areas is the buried waste lagoon. In the buried waste lagoon
22 there were many chemicals exceeding the risk base levels, and
23 it is the most concentrated contaminated area of the site and
24 it poses the greatest threat. The materials in the waste
25 lagoon constitute what we call a principal threat. A principal

1 threat is a highly toxic, highly mobile compound that can't be
2 reliably contained and would present a significant risk if
3 exposure occurred. The Agency's Municipal Landfill Guidance
4 recommends treatment of hot spots in landfills when the wastes
5 are in discreet, accessible locations and they pose a principal
6 threat to human health and the environment. Hot spots are
7 defined as areas posing risks greater than one in ten thousand.

8 Now, the buried waste lagoon soils and the
9 drum contents that may be present pose a principal threat. Our
10 objectives for this are to minimize the release of those
11 contaminants to the ground water, prevent direct contact with
12 those contaminants and contain or remove and treat those hot
13 spots.

14 The other portion of the
15 soils -- contaminated soils we've called site-wide soils. And
16 these include other contaminated areas of the site such as the
17 buried pit; and there were some contaminated soils around some
18 of the ground water monitoring wells. As of now the Agency has
19 no standards for contamination in soils, so action levels are
20 based on risk base criteria that we generated in the Risk
21 Assessment and also on any criteria that are available such as
22 drinking-water standards, water-quality criteria.

23 The soil contamination levels aren't
24 acceptable if leaching from the soil into the ground water
25 produces ground water levels that exceed their clean-up

1 criteria. So, what we've done is calculated the maximum in the
2 soil that won't produce ground water contamination levels over
3 one in one million or a hazard index over one. So, we want to
4 clean up and contain those soils to prevent leaching and
5 prevent direct contact with those soils as well.

6 The recent fill area which is up here, it
7 was the most recently active land filled in this area. This
8 was mainly used to dump solid and demolition wastes and it was
9 mixed with much smaller quantities of industrial waste. So,
10 treatment isn't practical due to the volume and variety of
11 contaminants in the landfill. So, containment was carried
12 forward as an action objective.

13 As far as ground water goes, the ground
14 water and landfill leaching -- they were lumped
15 together -- exceeded the response levels for ground water,
16 which are either risk-based levels or drinking-water standards
17 or any State criteria. The remedial action objectives for
18 ground water were to contain and capture all the ground water
19 and leaching all the produced cancer risks over one in one
20 million or a hazard index over one. We wanted to minimize the
21 contact between the unimpacted ground water and the
22 contaminated ground water and the contaminated soil. And we
23 also wanted to minimize the migration of the contaminants in
24 the ground water.

25 Now, the surface water -- most of the

1 surface water contamination is from leaching discharging to
2 Mill Creek and Skinner Creek. Some of it is also due to
3 erosion and runoff. No contamination was found in the surface
4 water that exceeded specific standards, and so the clean-up
5 objectives for ground water and leaching -- it was felt that
6 the clean-up objectives for ground water and leaching are going
7 to be protective of the surface water since there is a direct
8 connection. So, what we needed to do with surface water is
9 control the surface-water runoff and the soil erosion.

10 OK. Now for the sediments in the surface
11 water bodies. These are the ponds and the creeks. The
12 sediments in Skinner and Mill Creek had some higher levels of
13 organics that bumped the risk up over one in one million or ten
14 to the minus six. The hazard index, however, was not over one.
15 The sediment contamination was due to runoff or precipitation
16 from surface drainage areas and due to some ground water
17 discharge as well.

18 This can be remediated by eliminating
19 surface-water runoff and minimizing the amount of leaching and
20 ground water that go into the -- that come from the lagoon.
21 And so capping and containing the landfill was felt to be the
22 best objective. The removal of the creek sediments by dredging
23 or something like that was felt not reasonable because of the
24 small benefits that would be gained versus the long-term,
25 adverse impacts to the aquatic habitat. The pond sediments did

1 not exceed one in one million risk and the hazard index was not
2 over one, so the remedial action goal was to leach them
3 naturally by leaving them in place.

4 The landfill gas in the ambient air. For
5 this the remedial action goal was that any discharges from any
6 actions at the landfill would comply with all applicable State
7 and Federal regulations.

8 OK. So, those are -- that's a rundown of
9 the different media at the site and what we -- how we
10 rationalize what we would do with it.

11 OK. The next step is to develop general
12 response actions for each of the impacted media that will
13 satisfy the clean-up objectives that we just mentioned. And
14 then the next -- after that we identified all the technologies
15 possible to accomplish the response actions. And we screened
16 them based on effectiveness, implementability and cost. The
17 Agency has already screened some of these technologies that are
18 not effective or appropriate for landfill use. But the way
19 they screen them was when effectiveness and implementability
20 were equal between different technologies, they screened them
21 out according to cost; but when effectiveness and
22 implementability were not equal, the most effective and
23 implementable technology was retained.

24 And the last step of the process is the
25 technologies that are considered appropriate are then grouped

1 into remedial alternatives that address all the media at the
2 site. And from those, five alternatives were formed; and these
3 were listed on your fact sheet.

4 The first alternative is the No Action
5 Alternative. And we are required to carry this through
6 analysis because it serves as a basis to compare all the other
7 alternatives. Because of the risks that I've just talked
8 about, the No Action Alternative is not an option here.

9 The second alternative includes partial
10 excavation and on-site incineration of the waste lagoon soils
11 and consolidation of the other site-wide soils with the
12 incinerated soils beneath a multi-layer landfill cap. And the
13 ground water would be collected and treated on site above
14 ground. And other institutional controls would be applied; and
15 this includes site fencing, connection of some residents to the
16 Municipal water supply, ground water, surface water and air
17 monitoring, and deed restrictions for the site property. And
18 these are just a few of the other common elements between all
19 the alternatives I'm going to talk about.

20 The third alternative. This includes
21 consolidation of all the impacted soils beneath a multi-layer
22 landfill or hazardous waste cap, collection and above-ground
23 treatment of the ground water, and again, the institutional
24 controls such as site fencing, City water connections,
25 monitoring again in all the media, and deed restrictions.

1 I forgot to mention Alternative 2 -- the
2 present value cost of Alternative 2 would be 28.7 million
3 dollars. The present value cost of this Alternative 3 would be
4 15.5 million dollars.

5 Alternative 4 is exactly like Alternative 3
6 except that the type of cap used would be a single-layer clay
7 cap or sanitary landfill cap instead of the multi-layer cap.
8 All the other elements would be exactly the same. And the
9 present value cost of that would be 14.8 million dollars.

10 And Alternative 5 is exactly the same as
11 Alternative 2, the excavation and incineration treatment,
12 ground water treatment, except that it also includes another
13 element which is a soil vapor extraction system. And this
14 would be put in to remove the remaining volatile organic
15 contaminants. And these volatile organics are very toxic. So,
16 this would take them out. And the present value cost of this
17 would be 29 million dollars.

18 Now, these five alternatives -- a
19 comparative analysis was done on these five alternatives using
20 these eight criteria. The ninth criteria is actually being
21 done during the public comment period. At this point the
22 Agency has put forth Alternative 5 as the preferred
23 alternative, and Fred is going to explain that alternative in
24 more detail.

25 MR. FRED DARTMAN: Well, in summary, the

1 alternatives can be narrowed down to two choices, leave the
2 waste lagoon in place and cap at roughly 15 million dollars or
3 remove and incinerate the waste lagoon sediments and cap at
4 30 million dollars. And we recommend to remove and incinerate
5 the waste lagoon sediments, more specifically Alternative 5.
6 Even though this remedy is two times more than capping, cost is
7 not our only consideration. We consider all these -- well,
8 there's nine criteria that we consider, and here they are.
9 Sorry about that.

10 EPA puts the highest premium on remedies
11 that utilize treatment. Special source material that represent
12 principal threats. EPA believes that the majority of the
13 hazardous waste is concentrated in the waste lagoon. By
14 removal of this waste lagoon we are destroying the biggest
15 threat posed by the site and to the community. Alternative 5
16 also provides the greatest degree of protection, long-term
17 effectiveness and permanence. The waste lagoon sediments can
18 be burned safely with proper design, operation and maintenance
19 and monitoring.

20 As far as the remedy goes, initially we'll
21 start off with clearing the demo material from on top of the
22 waste lagoon. Then we'll inventory and characterize any drums
23 that are buried within this area or any other hot spots that
24 are identified. Based on that, we'll develop a set of plans
25 and specs to burn sediments. We'll set up a trial burn. And

1 for more information on what a trial burn is there are fact
2 sheets available and we are going to hold a workshop also; it's
3 being offered in late June.

4 But our remedy is to burn 17,000 cubic
5 yards of the most highly-contaminated material. That's roughly
6 the top 5 to 15 feet of soils below the demo material. The
7 incinerator will be designed to destroy virtually all the
8 organic chemicals. It will meet Federal and State air
9 regulations. It will be operated as a hazardous waste
10 incinerator. It's estimated it will take six months to treat
11 this material after the trial burns have been done.

12 After we're done the incinerator will be
13 dismantled and removed from the site. All residuals will be
14 tested and treated and placed back within the landfill. There
15 will be constant ambient air monitoring, engineering controls
16 will be practiced, and minimized air emissions during
17 excavation. EPA will have a representative on site virtually
18 on a full-time basis while the incinerator is in operation to
19 insure consistency with the design and monitoring plans. After
20 we're done with the incinerator the demo material will be
21 shredded and placed back within the landfill.

22 Then the site will be capped. And this is
23 a cross-section of the cap. Initially the waste material will
24 be compacted and soil hauled in to put the site to grade, and a
25 barrier layer will be placed. It will consist of clay and a

1 plastic liner and it will prevent any rainwater from coming in
2 contact with the waste. It will minimize rainwater
3 infiltration.

4 Next is a sand layer, and it will prevent
5 rapid drainage of any rainwater that is in contact with the
6 barrier layer. And next is a biotic barrier; and the purpose
7 of that is to stop any critters from damaging the barrier
8 layer. Next is a vegetation layer, and that will promote
9 healthy grass growth and promote runoff, prevent erosion and
10 provide protection from frost damage.

11 The actual landfill capped area will be
12 27 acres. Gas vents will also be installed to help control any
13 gases generated by the landfill.

14 Next is soil vapor extraction. And what it
15 is is an extraction well that's installed below the cap and
16 above the water table, and a vacuum is attached to it; and soil
17 vapors are brought up to the surface and they're treated in
18 this activated carbon unit. This will help address the
19 remaining VOC contamination that's left in the rest of the
20 landfill and also where the waste lagoon was.

21 Next is ground water trenches. There will
22 be two of them. One will -- this is hard to read -- but one is
23 located -- parallels East Fork Mill Creek, and it will be
24 designed to intercept any ground water prior to discharge to
25 East Fork. Ground water will then be treated and discharged

1 into East Fork. This will also be part of the system and this
2 will help prevent mixture of East Fork water with contaminated
3 ground water.

4 Another trench is proposed north of the
5 landfill, and this is designed to intercept any up-gradient
6 surface water and ground water. And this will help further
7 minimize any leaching generation from the landfill.

8 Another part of our remedy is an alternate
9 water supply. The existing water supply will be extended to a
10 few nearby residents at greatest risk from the site.

11 So, that's all the components of the
12 proposed remedy. After the remedy has been formally selected
13 we will most likely give qualified PRP's an opportunity to
14 design and construct a remedy. Negotiations could last
15 anywhere from 60 to 150 days. If an agreement cannot be
16 reached, EPA will consider other alternatives, alternatives
17 including doing the design and construction using Superfund
18 moneys. Assuming this is the remedy, design could last up to
19 two to three years, and construction will likely be over a
20 two-year period, which brings us to 1997.

21 And with that, I'll turn it over to Sheila
22 for the next item.

23 MS. SHEILA SULLIVAN: OK. We just wanted
24 to take a few minutes before going into questions and answers
25 for discussion of the issues that we know to be community

1 concerns. And they have been -- these are based on previous
2 comments we've received and questions we've answered.

3 One of these issues deals with the
4 incidence of illnesses and cancer to children and teachers at
5 the Union Township Elementary School. Now, I just want to
6 explain what we've done here. Through the investigation and
7 the Baseline Risk Assessment we have characterized the exposure
8 pathways and determined no complete exposure pathways from the
9 site to the school. Now, if you recall the four elements of
10 the exposure pathway, with the air pathway there is little to
11 no volatilization and chemicals from the soil into the air
12 because the waste lagoon, which is most of the volatiles, is
13 covered right now, and the other on-site soils have very low
14 concentrations of volatiles that are in the upper layers.

15 Now, the surface water has minimal
16 concentrations of chemicals; so, that's not felt to be a source
17 for volatilization. We've also done -- Well, let me get
18 into the drinking water. The drinking water for the school is
19 supplied by the Municipal supply; so, there's no ground-water
20 exposure. And the soil in the schoolyard has been sampled for
21 all major chemicals including dioxins, and these showed no
22 detections.

23 From the characterization we've done we
24 can't make a connection between exposure to the site while
25 spending eight hours a day at the school and these illnesses.

1 This doesn't mean that exposure to the site can't occur during
2 other periods of time while not in school. I mean, if a child
3 goes to school, then plays in the creek every day after school,
4 then he's going to be getting exposure.

5 In the Baseline Risk Assessment we looked
6 at current and future risks due to exposure. Now, cancer would
7 have had to have resulted from past exposures. The ATSDR, or
8 the Agency for Toxic Substances and Disease Registry, is the
9 agency mandated to conduct health assessments which can include
10 looking at past exposures and current exposures at Superfund
11 Sites. Through an agreement, the Ohio Department of Health
12 Bureau of Toxicology and Epidemiology performs that function,
13 and they are preparing a health assessment document at this
14 time. I do not know what it contains, I haven't seen it yet,
15 but it will be ready for review sometime toward the end of the
16 summer.

17 A second issue that's come up is the air
18 emission risks posed by excavation of the waste lagoon and
19 under the preferred alternative. And to address this issue we
20 did do some air modeling of emissions from the excavation part
21 of the site and some dispersion modeling to see what the
22 ambient concentrations of chemicals would be at the fence line
23 and at other on and off-site receptors, which included the
24 school. And this modeling was done with the assumption of no
25 engineering controls being applied and it was also done

1 assuming a six-month period over the summer months. From that
2 modeling we came up with risks that ranged from a low of two in
3 ten -- a hundred million, rather, to two in a million, or two
4 times ten to the minus eight to two times ten to the minus six.

5 So, that gives you now what you know about
6 the risk ranges and what's acceptable to the Agency. That
7 gives you an idea. The risks were fairly low.

8 And this is the noncancer risk. It ranged
9 from 0.1 to 2.6. And with engineering controls applied, the
10 risks would be well below the low end of the acceptable risk
11 range.

12 Now, persons performing the excavation
13 would be required to wear personal protective equipment and
14 other controls will be applied. But this is just to give you
15 an idea if you did it under certain conditions with no
16 engineering controls, these would be the risks.

17 The other issue is the issue of on-site
18 versus off-site incineration. And we realized that the
19 Feasibility Study was deficient in that it did not address
20 off-site treatment of contaminants. I'd like to give you some
21 of the information about why off-site treatment was not
22 feasible. And why it wasn't -- this is some of the rationale
23 that should have been in the Feasibility Study. And one of the
24 big issues is availability of off-site commercial incinerators.
25 And this is considered a relatively large amount of soil to

1 incinerate off-site. Commercial-permitted incinerator capacity
2 is a real commodity right now because the environmental
3 regulations were promulgated relatively recently compared to
4 the amount of time that hazardous waste has been around.

5 So, right now these facilities are at a
6 premium. Unfortunately the waste industry hasn't kept up with
7 the regulations, and arrangements have to be made to do
8 off-site treatment. We would be probably waiting a long time.
9 I've been quoted three to five years before the waste could be
10 incinerated off-site. And one of the considerations is not
11 wanting to leave an excavation site open for a long period of
12 time.

13 Another part of this rationale is the issue
14 of transportation of the waste off-site and those hazards
15 associated with that. The other issue is that there is -- the
16 Agency has much less control over the processing of the waste.
17 If there's any problems with holdups or permitting, we cannot
18 manage the time schedule and we are pretty much at the mercy of
19 when these incinerators are available. So, basically you lose
20 control over the process.

21 And one of the last issues, too, that
22 figures into this is cost for off-site incineration; and this
23 is very high.

24 Another item which came up which has come
25 to our attention is the risks posed by the stack emissions from

1 incinerators and who would be impacted by that. And these
2 risks can and will be modeled. Our general experience shows
3 that these risks will be insignificant compared to the
4 air-emission risks from the excavation part of the process.
5 So, this is what generally happens, and we felt comfortable
6 with the fact that the air excavation risks were fairly low.
7 But again, this issue can be addressed further along with other
8 issues in the incineration workshop later in June.

9 With that, I want to give it back to Cheryl
10 here.

11 MS. CHERYL ALLEN: OK. We're going to open
12 it up to question and answers right now. And if you can stand
13 and identify yourself. And let me remind you that now is the
14 time to ask questions, because when we get to the public
15 comment portion of the meeting it's just comments and
16 statements and thoughts; we can't respond to them. So, now is
17 the opportunity to ask questions.

18 Sir? Give a name and address.

19 MR. LAWRENCE BERKLEY: My name is
20 Lawrence Berkley, 9972 Thornwood Court, Cincinnati, 45241. You
21 mentioned the option of off-site incineration and the
22 difficulties in getting capacities of off-site incinerators.
23 But isn't it true that many of our incinerators in this state
24 are being used for out-of-state hazardous waste? Are we being
25 asked to accept an on-site incinerator here when other states

1 are loaning out incinerator capacity?

2 MR. FRED BARTMAN: Well, I guess my
3 question -- well, my answer is, "Well, how long did they really
4 have to wait in order to get this capacity?" And can you
5 repeat the question, please? I'm sorry.

6 MR. LAWRENCE BERKLEY: Very
7 straightforward, are we being asked to consider an on-site
8 incinerator -- One of the reasons is that you're saying it's
9 difficult to get capacity off-site incinerators in the State of
10 Ohio. My question is is that capacity being used by
11 out-of-state sources for hazardous waste?

12 MR. FRED BARTMAN: Yes, it is.

13 UNIDENTIFIED SPEAKER: Is that fair? So
14 there is no priority for Ohio to have access to hazardous waste
15 incinerators for Ohio hazardous waste; they would have to wait,
16 as Sheila said, approximately five years, maybe?

17 MR. FRED BARTMAN: Yeah, currently three to
18 five years.

19 MS. SHEILA SULLIVAN: I don't think there's
20 any priority given to in-state waste because the commercial
21 incinerator is located in the state necessarily. Ideally,
22 sure, because you wouldn't have to transport it very far. I
23 just said I don't believe there is any priority given to
24 in-state waste to a commercial incinerator that happens to be
25 located in the State of Ohio. I mean, ideally that would be

1 great because then it wouldn't have to be transported to
2 another state because the costs are very high for
3 transportation, the potential for accidents.

4 MR. LAWRENCE BERKLEY: Could I come back on
5 just that one point? If you put the risks for on-site
6 incineration back-to-back with off-site incineration, how do
7 they work? Forgetting cost, forgetting availability, just how
8 do the risks compare?

9 MS. SHEILA SULLIVAN: Well, I think the
10 comparison would be insignificant because the major risk here
11 is risks from excavation. Those overshadow incineration risks
12 by far, and whether we had on-site or off-site excavation, it
13 would still occur. And that's where the majority of risks
14 would be. So, I don't think the on-site versus off-site is as
15 big an issue really. And some of the other points that I
16 mentioned earlier overshadow off-site in that you lose the
17 control; you don't have -- you have an open excavation area.
18 The cost issue is another, transportation.

19 MR. LAWRENCE BERKLEY: Well, you say that
20 on-site incineration is not a risk item, but, in fact, doesn't
21 Ohio law say that you will not site a hazardous waste
22 incinerator within 2000 feet of a school? Was that rule
23 created on the basis of risk to the public?

24 MR. MARK SHEAHAN: I'll try to respond to
25 that, Mark Sheahan with the Ohio EPA. I'm not familiar with

1 the exact site criteria for a hazardous waste incinerator with
2 regard to proximity to a school. That may well be the case.

3 MR. LAWRENCE BERKLEY: I think it's -- you
4 mentioned that the risks of incineration were insignificant
5 compared with the excavation. How can they be insignificant if
6 there was a rule that says you can't have such an incinerator
7 close to a school?

8 MR. MARK SHEAHAN: Well, I think the rule
9 drafted that you're after is blanket regulations to be
10 protective without looking at a site in extreme detail. And I
11 think that is what is occurring here. We have a site that a
12 great deal of investigation has occurred at and they have
13 performed some significant air emissions modeling to make that
14 determination whether or not there is a significant risk
15 associated with it -- or they will -- with regard to the
16 incinerator. If that modeling should suggest that indeed the
17 risks are unacceptable with regard to the established standards
18 they have to look at, then certainly the remedy would have a
19 second look taken at it.

20 MS. SHEILA SULLIVAN: Also that's assuming
21 that there is excavation occurring at every place that there is
22 incineration; and they don't always co-occur. So, you can't
23 always assume that there's going to be air excavation risks
24 where you have an incinerator as well.

25 MR. FRED BARTMAN: Yeah. I'm not familiar

1 with that rule, either. I don't know if there is any exception
2 to that, if you did do a Risk Assessment, whether it could be
3 less, or if it applies to permanent incinerators as opposed to
4 a temporary incinerator. And another thing I'd like to point
5 out, assume it does have to be 2000 feet away from the school.
6 What you see in the FS is a conceptual -- what it might look
7 like. What is actually built might be a lot different. Right
8 now it's proposed to be built in a heavy-metal storage area,
9 which I believe is within the 2000 feet. It could be feasible
10 to site it somewhere else where it's outside of 2000 feet.

11 MR. LAWRENCE BERKLEY: There are not too
12 many places on that site.

13 MS. CHERYL ALLEN: Go ahead.

14 MS. KATHERINE STOKER: I have two
15 questions. It was a little hard -- My name is
16 Katherine Stoker. I live at 6979 Hidden Ridge in West Chester.
17 I have two questions. One is it was a little hard to
18 understand if you were saying that you were going to do a risk
19 evaluation comparison between each of the proposed
20 alternatives. Did I hear you say that? Because there was none
21 in the Feasibility Study. Did you say you were going to? That
22 was my first question.

23 And the second question was there was
24 reference made to full-time monitoring of the site to insure
25 children don't go over and play. When you say "full-time

1 monitoring", are you talking about full-time monitoring when
2 the workmen are there eight hours a day, or are you talking
3 twenty-four hours a day, seven days a week to insure that that
4 occurs, people don't go wandering about and perhaps seriously
5 injure themselves?

6 MS. SHEILA SULLIVAN: The first part of
7 that question -- could you repeat the first part again about
8 risks?

9 MS. KATHERINE STOKER: The first part of
10 the question, in the Feasibility Study I am not aware if there
11 was a comparison of the risks which the surrounding community
12 would experience between the different proposed alternatives.
13 There were evaluations of (inaudible) and there were some
14 evaluations where you proposed one, but I did not see a
15 comparison of the risks between the proposed alternatives.

16 The other was just how much protection of
17 the site are we going to have? You said it was full-time.
18 Could you explain what "full-time" means to you?

19 MS. SHEILA SULLIVAN: No, there wasn't a
20 risk comparison that was laid out for each of the alternatives.

21 MS. KATHERINE STOKER: So, they were not
22 compared with respect to risks they might hold to the
23 community?

24 MS. SHEILA SULLIVAN: But the risks that
25 would be experienced due to each of those proposals would be

1 below or within any acceptable risk range. What the specific
2 risks are, you mean? What amount of risk is there if you use
3 Alternative 2? What's there if you use 3? What's there if you
4 use 4?

5 MS. KATHERINE STOKER: Yeah.

6 MS. SHEILA SULLIVAN: No, there is not a
7 separate risk for each alternative.

8 MS. KATHERINE STOKER: You don't plan to
9 make one?

10 MS. SHEILA SULLIVAN: The way the
11 Feasibility Study was written --

12 MS. KATHERINE STOKER: That's what I'm
13 saying.

14 MS. SHEILA SULLIVAN: That's not normally
15 done in every Feasibility Study.

16 MS. KATHERINE STOKER: Then how can we
17 evaluate which is the safest alternative?

18 MS. SHEILA SULLIVAN: When I went through
19 each of the media and explained how much -- what we decided to
20 do, or what our action objectives were, based on what the
21 levels were in the media, the alternatives were derived from
22 our action objectives; and the action objectives were all the
23 same. So, each of the alternatives that were proposed
24 equally -- they all meet the action objectives, so they all
25 meet the same -- basically the same risk criteria. We're

1 allowing a certain amount of risk -- The amount of contaminants
2 that are able to be left in place that do not pose an
3 unacceptable risk is going to be -- basically is fulfilled by
4 all of the alternatives. I don't know if that helps.

5 MS. KATHERINE STOKER: You're
6 saying -- what you're saying is --

7 MS. SHEILA SULLIVAN: I know what you're
8 saying.

9 MS. KATHERINE STOKER: -- you don't intend
10 to because no matter what you do they're all going to be below
11 acceptable risks, therefore we do not need to evaluate which is
12 the safest?

13 MS. SHEILA SULLIVAN: Well --

14 MS. KATHERINE STOKER: Should we go on to
15 Part 2?

16 MS. SHEILA SULLIVAN: OK. The second
17 part --

18 MS. CHERYL ALLEN: About the monitoring.

19 MS. KATHERINE STOKER: You said
20 "full-time". I understand the Feasibility Study is they would
21 not be working twenty-four hours a day; they would be working a
22 more standard week. When you say "full-time monitoring", are
23 you talking about forty hours a week or are you talking about
24 twenty-four hours a day, seven days a week so the idle, curious
25 person doesn't come wandering by and perhaps injure themselves

1 with exposure?

2 MS. SHEILA SULLIVAN: Site security, that
3 type of thing?

4 MS. KATHERINE STOKER: Yeah.

5 MS. SHEILA SULLIVAN: Yeah, there is
6 twenty-four-hour security, yes.

7 MS. KATHERINE STOKER: And that's composed
8 of?

9 MS. SHEILA SULLIVAN: Whatever we want to
10 make. We could have a security guard. We could put in certain
11 controls, fencing, that type of thing. Then we could also have
12 personnel as well.

13 MS. CHERYL ALLEN: That would be part of
14 the design process. Once we decide how we're going to fence it
15 out, then we would position people. That decision would be
16 made at that point, how many people we would have there. But
17 it would be twenty-four hours.

18 MS. KATHERINE STOKER: You would have
19 people there twenty-four hours a day for the five or seven
20 years that it would take?

21 MS. SHEILA SULLIVAN: Right.

22 MS. CHERYL ALLEN: The lady in the back.

23 MS. CINDY RUSCHER: My name is
24 Cindy Ruscher. I live on Topridge. And part of your
25 alternative was deed restriction. But you also said that your

1 risk levels increase with development of that land. And I'm
2 concerned as to who'll hold deed to that land and ownership and
3 how it will be used in the future and who will police the use
4 and how development will be prevented in the future.

5 MS. SHEILA SULLIVAN: The deed restriction
6 is to prevent any excavation at the site and to prevent
7 installation of any types of drinking water wells. In the Risk
8 Assessment the assumption of development on the buried waste
9 lagoon area was a very conservative assumption. That probably
10 would never happen. However, as far as what the regulations
11 are, I mean, that would be what the deed restrictions are, that
12 there could be no development or excavation. So, that was kind
13 of -- that was a hypothetical scenario when I brought up the
14 residential development of the waste lagoon.

15 MS. MARGE GIBSON: My name is Marge Gibson.
16 I live on Chinook Drive. My question is about the incineration
17 process itself. Is this something that is carried on
18 twenty-four hours a day? Once they light these incinerators do
19 people work twenty-four hours a day or do they just light it
20 one day, close it down, light it at 8:00 and close it down at
21 5:00 each day? I think the answer is "Yes".

22 MR. BILL TROXLER: Systems that operate
23 this twenty-four hours a day, that's a normal installation.
24 There have been times that systems cannot operate around the
25 clock, so that's something that would be considered during the

1 remedial design.

2 MS. MARGE GIBSON: Could you tell me is
3 this true: I've been told that in order to operate these
4 safely they have to reach a certain temperature and that it is
5 not possible to reach that temperature by turning them off and
6 on daily; that once you get to that temperature you have to
7 keep it there and use it continuously. Is that true or not?

8 MR. BILL TROXLER: That's normally true.
9 You have to keep them hot. It takes several hours to heat
10 these up. If there is a situation where they are not
11 operating, they normally fire them on fuel just to keep the
12 system hot, but they would not necessarily fire waste. But
13 they would keep them hot around the clock.

14 MR. DAVID GREGORY: David Gregory,
15 9052 Thistlewood Drive. My question regarding incineration is
16 do the current EPA air-monitoring regulations call
17 for -- should there be an emission that is above what the
18 acceptable level is, does it call for immediate shutdown of the
19 incineration process, or does it only allow for them to put
20 forth a report at some future time that, in fact, they did
21 violate the air-quality regulations?

22 MR. MARK SHEAHAN: With regard to the State
23 regulations, it would require continuous monitoring of certain
24 parameters of emissions coming out of the stack. If those are
25 exceeded within certain guidances by the equipment that's

1 monitoring that, then people will be alerted and there will be
2 a control panel that will alert somebody, and corrective action
3 would be taken to correct the problem. If it's something that
4 really can't be corrected by tweaking the system, making
5 adjustments, then there would be an established protocol
6 to -- Well, first of all, there is automatic waste-feed
7 shut-off systems that would cut off the waste feed if it was
8 operating outside an established standard. And if it was
9 something that could not be corrected, then the kiln would be
10 shut down. Generally that's done gradually so that it's not
11 damaged. But waste-feed shutoff is engineered to be automatic
12 for certain exceedances.

13 MR. DAVID GREGORY: What lengths of time
14 are we talking for exceedances? Can they exceed for eight-hour
15 periods for adjustment or --

16 MR. MARK SHEAHAN: No.

17 MR. DAVID GREGORY: Is that nonregulated
18 other than the fact that they're not to exceed?

19 MR. MARK SHEAHAN: It would depend on what
20 exceedance there is. But for the ones that are really critical
21 they -- it's virtually automatic if it's exceeding outside the
22 established parameters.

23 MS. CHERYL ALLEN: I think it would be
24 helpful to just briefly explain what a rotary kiln incinerator
25 is and how it works.

1 MR. BILL TROXLER: Just a brief overview of
2 how the incineration process would work. There's several types
3 of incineration systems that are used. This is a diagram of a
4 rotary kiln which is probably the most common type on the
5 Superfund Sites. The soil feed is prepared ahead of time.
6 It's screened; it's put through various types of systems to dry
7 the soil, blend it so there is a fairly homogeneous feed
8 material that's fed into the kiln.

9 A kiln consists of a big, metal cylinder
10 with brick inside with a burner on one end of the kiln. The
11 soil is fed in and the flame passes over the material and the
12 cylinder rotates. And they're inclined just a little bit,
13 maybe three degrees. And as the kiln rotates, the material is
14 transferred through. The gases that are generated both from
15 the burner and from the combustion of the organic materials and
16 waste pass into a secondary combustion chamber which is another
17 combustion chamber that operates at a high temperature to
18 destroy the organics. The temperature is monitored. There are
19 also a number of other parameters measured at those locations.

20 Then it goes to a gas-cleaning system
21 again. There are various types of systems used. Bag houses
22 are very common. Wet scrubbers are used with some contractors,
23 and it depends on the application. Gas then goes to a fan and
24 blower and blows the clean gas up the stack.

25 To answer your question that you asked, the

1 Ohio EPA -- generally in the regulatory approval process there
2 are a number of permit limits that are established. If those
3 permit limits are exceeded, there can be automatic waste-feed
4 cutoffs. Those are specified in the permit. And the time
5 delays are specified in the permit. Some of those can be
6 instantaneous; as soon as it exceeds, the waste feed has to cut
7 off and it has to be brought back within limits before waste
8 can be introduced. There may be some that have a slight time
9 delay from a minute to two minutes, typically.

10 An eight-hour time delay? I can't imagine
11 anything having a time delay of that time length. But there
12 are a few parameters that have time delays in the order of a
13 minute or two. There may be some parameters that require
14 operators to take action, but don't necessarily require
15 waste-feed cutoffs. Those are typically parameters that would
16 not be considered to be dangerous to health or the environment.
17 Does that answer your question?

18 MR. CARL MORGENSTERN: Carl Morgenstern,
19 5759 Woodbridge, West Chester. There would be plans or
20 specifications for these contracts; is that right?

21 MR. BILL TROXLER: Yes, sir.

22 MR. CARL MORGENSTERN: Would that be let
23 off of the priority contractors or is the Federal Government
24 going to oversee them do it?

25 MR. BILL TROXLER: The normal procedure on

1 the Superfund Site cleanups is to go through a remedial design
2 process. During the remedial design there are general
3 specifications that are established that this machine has to
4 meet; and those will be specifications like the maximum amount
5 of carbon monoxide that can be emitted to the atmosphere, the
6 maximum amount of articulates, the maximum amount of gases,
7 minimum operating temperatures, minimum gas resin times.
8 Generally those are put into the design package.

9 MR. CARL MORGENSTERN: Like the Ohio EPA
10 does all the time?

11 MR. BILL TROXLER: Yes, both the Federal
12 Government and some State Governments have.

13 MR. CARL MORGENSTERN: My question is about
14 construction of this incinerator. You'll have plans and specs
15 that cost a lot of money. Is that up for bid?

16 MR. BILL TROXLER: There are currently
17 about seventeen different contractors that have transportable
18 or mobile incinerators that have been built. I would expect
19 that someone would -- there would be a bid let normally and
20 those contractors would be allowed to bid on the project. And
21 they would go through a technical evaluation and a
22 bid-evaluation process. As long as their equipment met the
23 performance specs, the contract would be awarded on that basis.
24 It's not a situation where a complete detailed design would be
25 prepared by the EPA or a consultant, and then someone built a

1 system to those specifications. It's usually called a
2 performance specification. The system has to meet these
3 requirements, then the project is let out for bids.

4 MR. CARL MORGENSTERN: Does the public have
5 any input into whom that contract is awarded?

6 MR. FRED BARTMAN: No. Only EPA does.

7 MR. CARL MORGENSTERN: Which EPA?

8 MR. FRED BARTMAN: U.S. and Ohio also,
9 both.

10 MR. CARL MORGENSTERN: Will we know in
11 advance who the bidders are and the names? Will there be a bid
12 list publicly announced?

13 MR. FRED BARTMAN: Bill tells me it's
14 normally released, yes.

15 UNIDENTIFIED SPEAKER: Prior to the
16 decision?

17 MR. BILL TROXLER: It's normally available
18 for anyone to bid on. There is a remedial design package put
19 together. It's a notification that goes out to interested
20 contractors. And anyone who's qualified is allowed to bid.

21 The process for evaluating those bids is
22 generally a technical evaluation and a cost evaluation. The
23 Agency will go through and they will rank the proposals on a
24 technical basis and give a score from the most appropriate
25 technology down. They will also do a cost evaluation. And the

1 final award --

2 UNIDENTIFIED SPEAKER: How about prior
3 performance?

4 MR. BILL TROXLER: Prior performance can be
5 a criterion. The Agency can include what criteria they want in
6 the bid-evaluation process. And prior performance is quite
7 often a very strongly considered factor in the evaluation.

8 MR. CARL MORGENSTERN: Let me ask one other
9 question. The lady back here asked the question about
10 restrictions on the deed. You have to own the property. Who's
11 going to have title to this land after we put 30 million
12 dollars into it? Is it going back to the Skinners who caused
13 this trouble in the beginning?

14 MR. FRED BARTMAN: I'm sorry. I can't
15 really answer that question. Could you please put it in as
16 part of a comment and we will respond to it? Is that fair?

17 MR. CARL MORGENSTERN: Well, I think the
18 lady had a good point. If you want to have restrictions -- You
19 have to own the land. It's a restriction on the land.
20 Chem-Dyne in Hamilton had something like that. And I
21 understand maybe the Township can take it over, something like
22 that.

23 MS. CHERYL ALLEN: We'll look into that and
24 respond to it in the summary, sir.

25 MR. MARK COORS: My name is Mark Coors. I

1 live at 7526 Galway. This is a follow-up to Carl's question.
2 Number one, presumably I think you used the term PRP's won't
3 come through with money to fund this entire cleanup, which
4 means the Superfund moneys will most likely be utilized. Is it
5 feasible that the Skinners would be effectively put into
6 bankruptcy and their property seized as an asset to help pay
7 for these clean-up costs?

8 MR. FRED BARTMAN: Well, assuming the Fund
9 is used to build this remedy -- Eventually it will all end up
10 in cost recovery. And to what extent who pays for what, I
11 really don't know. That's for the Court to decide. To the
12 extent what Skinners might pay, I really don't know. It's for
13 a judge to decide.

14 MS. CHERYL ALLEN: Sir?

15 MR. GARY CAMPBELL: Yes. I'm
16 Gary Campbell, President of the Lakota School Board. You've
17 acknowledged that we sent a letter. A couple of questions I
18 guess that I didn't hear an answer to. And your Risk
19 Assessment, particularly on the incinerator, is low. What
20 about the Risk Assessment if you run into problems on
21 excavation? How will you notify the school when a problem
22 occurs, if a problem occurred; or do we find out about it
23 afterwards? That would be one question, about a notification
24 process. And also the time frames in which the actual
25 excavation would occur?

1 MR. FRED BARTMAN: OK. Again, that's more
2 of a design question. As part of the plans and specs, there
3 will be a site safety plan where it will cover the material
4 that you just mentioned. And, you know, I couldn't say what it
5 would be.

6 MR. GARY CAMPBELL: Will we have a chance
7 to input into that plan as far as notification and how we want
8 to handle kids on the playground if that's an issue?

9 MS. CHERYL ALLEN: I'm sorry? She was
10 whispering.

11 MR. GARY CAMPBELL: Will we have a
12 chance -- school officials have a chance to input into that
13 program in terms of notification of when you're going to be
14 doing excavation?

15 MS. CHERYL ALLEN: Certainly. As part of
16 community relations we'll be out to talk to the school
17 officials. In fact, we're planning to meet with the faculty of
18 the school that's directly across from the site ahead of time
19 when we have our incineration workshop. So, any type of
20 activity that will be occurring that's directly going to affect
21 that area, we will be in constant contact with them.

22 MS. LINDA SCHNEIDER: Linda Schneider,
23 8819 Cincinnati-Dayton Road. I'm one of the few residents that
24 have well water still. And from what you've said, it's still
25 going to be quite a few years before any of this even begins.

1 I'm wondering if the water hookups are something that are done
2 earlier in the process or do we have to go through the entire
3 process to help half a dozen individuals with the water
4 situation?

5 MS. SHEILA SULLIVAN: That could be
6 addressed sooner. I mean, that's something that once we
7 remedy -- It's a part of every remedy, and whatever remedy is
8 selected, that could be prioritized; it doesn't have to happen
9 near the end; we could determine when it can happen. So,
10 that's not a problem.

11 MS. MELANIE WITTMAN: Melanie Wittman,
12 8410 Darlene Drive. My main concern is that maybe I'm not
13 quite sure if we're not going to have a say on what the
14 incinerator is going to be like and what kind of scrubbers
15 they're going to have and what kind of system is going to be
16 used, and we're not going to have any comment period after it's
17 built, after it's chosen; we're not going to be able to say,
18 "That design is OK," or, "This is OK." And it just seems
19 awkward to me that we're here having all these questions, and
20 some of our questions aren't being answered and can't be
21 answered because they can only be answered according to if we
22 know what the incinerator is exactly going to be like. And my
23 concern is we're not going to get that comment period.

24 MS. CHERYL ALLEN: That's the reason we're
25 here. No. See, you have -- the reason why we're here is to

1 get your comments. Things that we can't respond to, we're
2 going to tell you we can't respond to them. That's what the
3 Responsive Summary is for. We go back and investigate. This
4 is part of the whole process. You are giving us information on
5 things that we need to go back and investigate on. So, to say
6 that you don't feel that you're part of the process, you are.
7 That's why we're here, to get your concerns and your questions,
8 and then to go back and find out things that we can answer to
9 respond to you on those things. And you are part of the
10 process.

11 MR. FRED BARTMAN: You're right. There is
12 no opportunity for formal public comment during the design.
13 And what we can do is hold meetings and more workshops as we go
14 along, so --

15 MR. BILL RACER: I have a question. I
16 haven't heard anything from a taxpayer's viewpoint.

17 MS. CHERYL ALLEN: Sir, could you speak up?

18 MR. BILL RACER: My name is Bill Racer. I
19 live at 7193 Timbermill Drive in West Chester. I have a
20 question from a taxpayer's viewpoint. We're talking 30 million
21 dollars here practically. We're talking 1997. And there's
22 many cases where -- in those cases these costs ripple up
23 significantly. You can take Fernald and look at that in the
24 millions of dollars and it's up to 20 billion dollars. And I'm
25 not saying it's going to be like that here, but one of the

1 things that's amazed me about this site -- and by the way, I
2 think it's about time that the regulatory agencies have shown
3 up. It's been a long time in getting attention to this site.
4 I know there's other priorities, and I recognize that, however,
5 one of the things that amazes me is that all the way from
6 Butler County to the State of Ohio, et cetera, there's been
7 slowness in moving on these issues. You're responding now, but
8 the problem that I have is the PRP's, principal responsible
9 parties, either they're going to pay or the taxpayers or the
10 Superfund is going to pay. Based on the past reluctance,
11 slowness, et cetera, how much pressure -- it's too bad you
12 don't have an attorney here tonight from the U.S. EPA to
13 respond to this -- but how much pressure are you going to put
14 on the PRP's to pay for this? I think it's ridiculous. I
15 think it's a foregone conclusion that it's going to go from
16 30 million on up.

17 MR. FRED BARTMAN: Well, first of all, even
18 if we do use Superfund, it eventually does end up in court.
19 And those costs will hopefully be recovered. And as far as
20 what pressure is put on PRP's, it's probably in their best
21 interest to conduct the cleanup. They probably can do it
22 cheaper than the Government can, and that's incentive. They
23 can probably do -- they'll do just as good a job as we can, but
24 cheaper.

25 UNIDENTIFIED SPEAKER: Isn't there a triple

1 damage if they fail to do it, too?

2 MR. FRED BARTMAN: Another option is to
3 issue an administrative order which says, "Do this or
4 we'll -- you could be libel for triple the cost." Well, if the
5 Government went ahead and did it, they could be liable for
6 triple the cost. So, if we do issue an order, it's in
7 their -- they're taking a big -- If we do issue an order and
8 they don't comply with it, they're taking a big chance; they
9 could be paying triple the cost when it does go to cost
10 recovery.

11 UNIDENTIFIED SPEAKER: I have one other
12 question. I know in some states the counties are held as
13 PRP's. Is that being considered here?

14 MR. FRED BARTMAN: Well, if they
15 were -- No.

16 MS. LISA WHITTAKER: Yes. My name is
17 Lisa Whittaker. I reside at 6976 Gary Lee Drive. Some people
18 call me an MB. You can call me whatever you like. I've read
19 your Feasibility Study and I think it needs to be the first
20 thing you put in the incinerator. There are too many
21 unanswered questions. First of all, whose response weighs
22 more, whose comments weigh more, the folks who live nearest the
23 site, our elected representatives, or the responsible parties?
24 That's my first question. Whose comments will weigh the most?

25 MS. CHERYL ALLEN: If you're talking about

1 comments between residents and local officials, we don't weigh
2 whose --

3 MS. LISA WHITTAKER: OK. I have been
4 around the neighborhood in Old West Chester, and what I'm
5 hearing from people is you've never answered the question about
6 are there explosives, are there munitions, is there nerve gas?
7 We better consider whether it is feasible to even excavate the
8 site before we decide to build that mousetrap.

9 We have worked with regulatory agencies.
10 I'm a member of CLEAN. I'm very proud to say that. We worked
11 with Ohio EPA. We got a permit condition on a medic waste
12 incinerator that says you shall not burn radioactive materials
13 of any kind. It doesn't prevent it. It's documented. There's
14 nobody protecting this community. If you want to believe the
15 regulations will protect you, you take the paper they're
16 written on and you stick it over your face. There's nobody to
17 enforce --

18 MR. FRED BARTMAN: Regarding what you said
19 about the bombs and nerve gas and mustard gas that may or may
20 not be at Skinner Landfill, well, there is good reason to
21 believe that is not in the waste lagoon. For one, when
22 Ohio EPA investigated the waste lagoon back in 1976 they did
23 not encounter any of that material.

24 MS. LISA WHITTAKER: Were there flame
25 throwers?

1 MR. FRED BARTMAN: Yes, there was.

2 MS. LISA WHITTAKER: How many? Who has a
3 flame thrower in their Municipal trash? This to me is a clear
4 indication that there is Department of Defense waste; and you
5 better talk to DOD and you better base your Feasibility Study
6 on whether there is a chance this stuff is in there. You've
7 never addressed it.

8 MR. FRED BARTMAN: OK. And we have looked
9 more into the history of the waste lagoon. And the waste
10 lagoon was nothing but a pond. And truck drivers would back
11 up, dump their drums and take it back with them or the site
12 operator might dump them in there and recycle the drums. And
13 we don't think it was -- it was also used to rinse out drums
14 and rinse out tankers reportedly from Chem-Dyne. So, we think
15 it's highly unlikely it was used for --

16 UNIDENTIFIED SPEAKER: We wanted better
17 lives.

18 MR. FRED BARTMAN: Now, wait. At the time
19 when they did that inspection there was aerial photos that
20 showed there was a whole bunch of drums on the surface near the
21 waste lagoon. Now, when word got out that Ohio EPA was going
22 to investigate that area, all of a sudden there was a lot of
23 digging or a lot of burying. And I really don't think it
24 was -- and that's how I think the flame -- you know, I'm
25 speculating here -- but I think that's how the flame throwers

1 got there. And the drums, it was used to dump liquid material
2 and wash it out.

3 MS. LISA WHITTAKER: I would like to say
4 that you folks have been wonderful to work with and I don't
5 have any hard feelings against you. The problem is we had some
6 high-paid consultants who asked the wrong question. Instead of
7 asking, "How do we make it safe and keep the emissions down,"
8 they decided they would build a big magic machine. And the
9 problem with the magic machine is you're going to burn the
10 toxics along with the soil. You can burn the soil, but when
11 you try to capture the toxics, the heavy metals out the back
12 end, you're guaranteeing that we're going to be exposed to this
13 stuff that's in the hole. It's in the hole. Now you're going
14 to put it in the air. There is no way that you will build this
15 thing with less than two scrubbing devices, a dry bagger at the
16 very minimum because it will capture a lot of junk without
17 producing the waste water. Then you need to back it up with
18 the wet scrubber to get the stuff the dry bagger missed.
19 You've got to address excavating based on whether or not
20 there's DOD waste. First go back, do your Feasibility Study,
21 do the job you're paid to do; then let us comment. Give us
22 something we can comment on. This is garbage. You've glossed
23 over all of this stuff. You don't hand us the representative
24 decision and a Responsiveness Summary and say, "We addressed
25 your concerns." I've seen that. I've been a part of that. I

1 don't put my trust in any Government agency any longer. I
2 trusted Ohio EPA, and they put an incinerator down there. They
3 promised it wouldn't burn radioactive material. They promised
4 it would comply with the 1991 air regulations; and the director
5 reneged on his word. It's burning radioactive materials and it
6 doesn't comply with any air regulations. I trusted one time;
7 twice, no way.

8 MS. PATTI THOMAS: My name is Patti Thomas,
9 9720 Talltimber Drive. I contacted both Ohio and Federal EPA
10 and gave them information about a member of this community who
11 told me several years ago at a Meet the Candidates night that
12 he personally was in charge of a Military operation that moved
13 munitions from the Sharonville Depot to the Skinner Landfill.
14 I would like to know who talked to that person and what the
15 response was.

16 MS. CHERYL ALLEN: Can you tell me who you
17 talked to?

18 MS. PATTI THOMAS: I've told lots of
19 people. Several people up there know the person's name. I
20 want to know who talked to him and what was his response?

21 MR. FRED BARTMAN: Well, the answer to that
22 question -- I'd be willing to take testimony at a deposition at
23 any time.

24 MS. PATTI THOMAS: Did you call the person
25 whose name I gave you?

1 MR. FRED BARTMAN: Yes.

2 MS. PATTI THOMAS: What was his response?

3 MR. FRED BARTMAN: He wanted nothing to do
4 with it.

5 UNIDENTIFIED SPEAKER: He didn't answer
6 your questions?

7 UNIDENTIFIED SPEAKER: Can he be
8 Subpoenaed?

9 MR. FRED BARTMAN: He had his own reasons.

10 MS. PATTI THOMAS: What he told me was he
11 was concerned about giving this information because of what it
12 would do to real estate values in the community because he was
13 concerned about building a VFW hall and he didn't want to get
14 the realtors discouraged and have them refuse to contribute to
15 his VFW hall. That's why we have munitions that nobody knows
16 about.

17 MS. DOVE LONG: I just want to know where
18 were the two flame throwers found? Were they found in the
19 lagoon? I'm sorry, my name is Dove Long, 6354 Melrose Way.

20 MR. FRED BARTMAN: To answer your question,
21 I don't know exactly where it was located.

22 MS. DOVE LONG: I think that's something
23 you should look into. Also I have a question about the
24 six-to-nine-month incineration period that your proposal says.
25 Is this supposed to happen during the summer? Are you saying

1 the kids are going to be out of school for months, or do it
2 over three consecutive summers? My toddler will be in school
3 by then.

4 MS. SHEILA SULLIVAN: What I was talking
5 about was when the excavation is done we modeled it during the
6 summer assuming during the summer months.

7 MS. DOVE LONG: I'm concerned about the
8 incinerator. We're not all too happy with this incinerator.
9 When is the incineration going to be done?

10 MS. SHEILA SULLIVAN: We can work -- it
11 depends on the schedule; and that depends on capacity
12 availability. If it was off-site -- that's the whole reason.
13 If we have control over the schedule, we can determine when it
14 can be incinerated.

15 MS. DOVE LONG: If you have it off-site,
16 then it won't impact the school. If we're talking three to
17 five years at least anyway to get it set up, why don't we ship
18 it off-site? That was the time period you were given by
19 off-site contractors.

20 MS. SHEILA SULLIVAN: Yeah. Those were
21 estimates.

22 MS. DOVE LONG: That's what we're talking
23 about if we build it on-site; is that right?

24 MS. SHEILA SULLIVAN: It would -- yeah, it
25 would be a similar timetable, I agree. But part of it also has

1 to do with the length of time to incinerate the material. We
2 could work with an off-site incinerator and it would be three
3 to five years before we could do it. But then it's also the
4 time that we have to incinerate it. We can't be guaranteed
5 that with an off-site incinerator it would also take only six
6 months to do, as it would on-site.

7 MS. DOVE LONG: But we're talking about
8 building an incinerator anyway. Why can't you build it
9 2000 feet away? Why don't you build it down the road away from
10 those children? Everyone's children are in one spot. You
11 should do your best to stay away from those children.

12 MS. SHEILA SULLIVAN: As far as the siting
13 of the incinerator goes, that has not been determined at all
14 yet. We will have to go back. What was in the Feasibility
15 Study was set up as far as the best place for it based on the
16 topography and everything else. But at the time we were not
17 aware of the 2000-foot restriction.

18 MS. DOVE LONG: But you're aware that it's
19 right across the street. It doesn't take a rocket scientist to
20 figure out that's close to your kids. That's something I hope
21 you take very seriously.

22 MS. SHEILA SULLIVAN: It will be. And if
23 we can't find a place to site it, that does not meet the
24 restrictions, then we either can't site it there, we can't put
25 it there, or, you know, you have to look into the variance

1 process. But it couldn't be sited there if it can't meet the
2 requirements; so, we'd have to go to another plan. It's as
3 simple as that.

4 MS. JAN CAMERON: My name is Jan Cameron.
5 I live on Lake Lakota Circle in Union Township. I'd like to
6 back up a little bit and ask the question of EPA, is
7 incineration the only method that you are willing to use at
8 this point? In other words, I thought that you were proposing
9 something to the community and then judging by what community
10 acceptance would be, then go back and re-evaluate all sides of
11 your proposals. Or, in other words, are you going to go ahead
12 and carry through with incineration no matter what all of our
13 concerns are? Have you made a definite decision that you're
14 going to build that incinerator?

15 MS. CHERYL ALLEN: No matter --

16 MS. JAN CAMERON: No matter what we all
17 think, like they did with the BFI incinerator?

18 MS. SHEILA SULLIVAN: As I mentioned, the
19 eight criteria, we have already done a comparative analysis
20 with, and with those eight criteria --

21 MS. JAN CAMERON: I know all about
22 criteria. But answer a simple question.

23 MS. SHEILA SULLIVAN: No. It's just a
24 preferred -- it's not cast in stone, no. It's just put forth
25 as a proposal.

1 MS. CHERYL ALLEN: We'd like to take two or
2 three more questions and go into public comments, please.
3 Someone who hasn't had a chance?

4 UNIDENTIFIED SPEAKER: I'll save mine for
5 public comment.

6 MS. JANE DOLE: Jane Dole, 607 Jasmine
7 Trail. I don't fully understand why Alternative 5 is the
8 preferred solution. You say you didn't do any risk assessments
9 of the other solutions, so on what basis do you say that
10 Alternative 5 is the preferred solution?

11 MR. FRED BARTMAN: I think this really
12 relates back to a previous question. Alternative 3 is a
13 capping alternative, and obviously there will be less risk
14 associated with that compared to Alternative 5. That's the
15 reason we did run the risk model to see -- to compare them, and
16 we did factor that into our comparison.

17 MS. JANE DOLE: Did you do a basic model
18 for 37

19 MR. FRED BARTMAN: No. We didn't feel the
20 need to.

21 MS. JANE DOLE: How could you compare them?
22 I don't understand this.

23 MR. FRED BARTMAN: Well, it's --

24 UNIDENTIFIED SPEAKER: What did you use as
25 a control?

1 UNIDENTIFIED SPEAKER: No action.

2 UNIDENTIFIED SPEAKER: They crossed their
3 fingers.

4 MS. JANE DOLE: I do feel that this is a
5 very, very basic question. Maybe I'm stupid, but at the moment
6 I don't seem to have an answer, a very simple layman's answer,
7 about why you think Alternative 5 is preferable to the others.
8 At the moment you don't seem to be able to answer that
9 question.

10 MS. SHEILA SULLIVAN: Well, the No Action
11 Alternative is the control.

12 MS. JANE DOLE: Why is 5 better than 3?

13 MS. SHEILA SULLIVAN: Well, 5, one of the
14 issues that is there is a statutory preference for a permanent
15 destruction of principle threats. As I explained what a
16 principle threat was, the National Contingency Plan stresses
17 that to permanently destroy the waste is a preferred method
18 over something that leaves it in place and let's it -- allows
19 it to leach out or possibly leach out over a longer period.
20 So, that's one of the big issues. I don't know if that --

21 MS. JANE DOLE: No, that doesn't answer my
22 question. It is a natural, permanent solution.

23 MS. BETH GARYS: My name is Beth Garys. I
24 have a general question about these creeks coming off of here.
25 During the excavation period or incineration period, whatever,

1 I'm assuming at this point any of these creeks our kids should
2 not be in or near the water -- in the water or, you say, also
3 not in the creeks, I mean, at this time and for the next five
4 or seven years or however long this takes?

5 MS. SHEILA SULLIVAN: Are you talking about
6 the creeks on the site?

7 MS. BETH GARYS: Right. And obviously the
8 water is flowing off there and going to be coming down further
9 than just this site area.

10 MS. SHEILA SULLIVAN: Yes. Well, the
11 surface water and sediment levels in the creeks off the site
12 would not be a risk. Now, as to whether or not -- The
13 excavation would be a very controlled process, as excavations
14 go. I guess it also depends on how the excavation process is
15 set up and what kind of engineering controls are put in place.
16 That would happen during remedial design. But the way it's set
17 up, it should not impact the creeks at all. That's what we
18 would hope. But if there was a problem, we would advise people
19 about that ahead of time if they should be concerned about
20 that. But we don't foresee that.

21 MS. BETH GARYS: If we cap, it will
22 probably be a problem later on, but if we incinerate --

23 MS. SHEILA SULLIVAN: Eventually over a
24 long term there is less protection, over a long term.

25 MS. BETH GARYS: Because it's flowing down

1 and around this community, and of course it's going to flow
2 down into other communities, particularly where we're going to
3 be living. And there's a creek that flows right behind where
4 we're going to be living, so I'm just wondering.

5 MS. SHEILA SULLIVAN: We would be doing
6 surface-water monitoring. So, that's set up as a control to
7 determine whether there's going to be problems. So, we'll be
8 doing the monitoring and the results will be available. And if
9 there was any problem or exceedance of a health risk, the
10 residents would be advised as to what they should do.

11 MS. CHERYL ALLEN: We're going to take a
12 couple more questions. Two more, please.

13 MS. KATHERINE STOKER: Katherine Stoker
14 again. I have two questions. Number one, in your statement
15 you say, "How does EPA evaluate clean-up alternatives?" And
16 you include that, "a particular remedy chosen should provide
17 adequate protection of human health and the environment, that
18 the risk posed should be controlled through," et cetera,
19 et cetera. Would you be perhaps considering picking up the
20 cost of moving the children in Union School to other schools,
21 in other words, providing Butler buildings at other schools to
22 move the children out of that area during the course of your
23 work -- well, during the excavation and whatever it is you plan
24 to do?

25 And number two -- and this comes back to a

1 question regarding the choice of contractors for
2 incinerating -- do you evaluate the criminal background of the
3 contractors, make an evaluation? The reason I ask that is
4 because two very large companies involved in handling of waste,
5 (inaudible) and Health Management, Inc., have both paid tens of
6 millions of dollars in fees, penalties and out-of-court
7 settlements for violations of environmental EPA pollution laws
8 and Antitrust laws. And we have a problem here in this
9 community with trusting companies like that since we have BFI
10 down the street who appears to be breaking County, State and
11 Federal EPA laws with impunity. So, we're worried if you let
12 in somebody with a bad background, you're not apparently going
13 to enforce -- I don't mean you personally. I know you mean
14 well and you're working very hard on this -- Our problem is
15 enforcement of the controls that the gentleman was speaking of,
16 permits this and standards that and automatic shutoffs. And,
17 sure, go down the street to Charter Park Drive and we'll show
18 you permits and automatic shutoffs. It's not happening here.

19 The first question, are you going to pay
20 for the relocation of our children for the months when you have
21 the most active health risk? Was that included in the plan?
22 Can it be included in the plan?

23 MS. SHEILA SULLIVAN: It could be included
24 if the health risks exceeded an acceptable risk level, sure.
25 But we wouldn't select an alternative where the health risk has

1 exceeded an acceptable risk level in the first place. So, we
2 don't foresee that something like that would be necessary.

3 MS. KATHERINE STOKER: So, that's a "No",
4 you've already determined that they aren't at risk there?

5 MS. SHEILA SULLIVAN: Right. But that will
6 also -- I mean, right. As I say, we wouldn't --

7 MS. KATHERINE STOKER: Part 2, do you
8 evaluate the criminal background of the contractors bidding on
9 these jobs?

10 MR. BILL TROXLER: I can't answer that from
11 the standpoint of -- I know there is precedent and that it has
12 been done on other Superfund Sites. I'm aware of one site in
13 particular where as part of the proposal process the proposed
14 bidders have to disclose any environmental violations or fines
15 corporate-wide over the past five years.

16 MS. KATHERINE STOKER: Evaluation doesn't
17 do it. I can show you a list of BFI's evaluations over 70-feet
18 long, and they still got their permit to burn down the street
19 here. Just showing violations doesn't do a thing. Are you
20 going to accept applications from contractors who regularly and
21 significantly violate criminal laws? Don't talk about just
22 making them list the laws. Are you going to accept them if
23 they have those violations?

24 MS. CHERYL ALLEN: I can't answer that.
25 That sounds like, to me, to be a legal question.

1 MS. KATHERINE STOKER: It sure is.

2 MS. CHERYL ALLEN: And I think that would
3 be something that would be part of the criteria process, that
4 we would look into the background of those contractors.

5 MS. KATHERINE STOKER: You have no problems
6 evaluating them for capability and price, but you say you have
7 nothing in place to evaluate them with respect to their
8 criminal backgrounds; is that what you're saying?

9 MS. CHERYL ALLEN: No, I'm not saying that.

10 MS. KATHERINE STOKER: Didn't you say you
11 were going to evaluate the contractors when they submit their
12 bids with respect to whether or not they're capable of doing
13 the job? I thought I heard somebody say that.

14 MR. BILL TROXLER: As part of the remedial
15 design there is a proposal process; and as part of that
16 proposal process there are certain criteria that the proposals
17 are ranked on. Those sorts of issues can be considered in the
18 proposal process, and there is precedence for that.

19 MS. KATHERINE STOKER: But there is not at
20 this time and you don't have clearance to put it in?

21 MR. BILL TROXLER: At this point the
22 remedial design has not been done. That's part of the process
23 we're going through tonight, is to get input into that process.
24 At this point there are no remedial design plans that would be
25 that specific. But it is something that -- It has been done in

1 the past and there is a precedence for that.

2 MS. CHERYL ALLEN: One last question.

3 MS. KRISTIN SMITH: I'm Kristin Smith. I
4 live at 5738 Golf Crest Drive. I'd like to defer my question.
5 I have a very important question. I know that man has the same
6 question. I'd like him to ask it for me.

7 MR. LAWRENCE BERKLEY: I don't know whether
8 it's the same question. But has the date of the ROD been set?
9 Can it be moved? And what would it take to move it?

10 MS. CHERYL ALLEN: As far as the date for
11 the ROD, it has not been set. That's what this process is
12 about. Based on the public comments we get here, then we go
13 back and evaluate all those comments and all of that input.
14 Then we make a decision on when that ROD will be signed.

15 MR. LAWRENCE BERKLEY: The point of my
16 question is here we see a fairly benign site, it's not going to
17 blow up, right, as far as we know. But what you can hear
18 tonight are a lot of very deep concerns about certain technical
19 issues that have been glossed over in the Feasibility Study,
20 and it will take some time to get real answers to those
21 questions.

22 For instance, on the point about
23 explosives, there's only about two lines that say what is to be
24 done about explosives on site. That is a very serious, serious
25 issue, and it could affect the choice of the options that's

1 finally selected. And I don't see at the moment any evidence
2 that those kind of issues are being adequately addressed, and I
3 would strongly recommend that the date of the ROD be put off
4 until all of those issues have been adequately addressed. In
5 other words, we may well need other meetings of this kind so
6 people can watch this process progress.

7 MS. CHERYL ALLEN: OK. We're going to take
8 a five-minute break and then we're going to take your comments.

9 (Public Meeting stood in recess.)

10 (Public Meeting reconvened.)

11 MS. CHERYL ALLEN: We want to take
12 comments, but we will be here at the conclusion to answer any
13 questions. So, we won't be rushing out after we get your
14 comments. When you stand up state your name and address for
15 the court reporter for the public record.

16 MS. MELANIE WITTMAN: My name is
17 Melanie Wittman, 8410 Darlene Drive, West Chester, Ohio, 45069.
18 My concern is that to my understanding you don't really know
19 what's in the waste fill; you're not sure at all about all the
20 components that are going to be in there. But you're saying
21 you might burn it. And my other concern along with that is
22 when you dig the stuff up and you excavate, are you going to
23 test it and stamp it before you burn it? Because according to
24 EPA studies that I've looked into, a lot of these things become
25 more toxic after you burn them.

1 And to my understanding also you're going
2 to take all the ash that is more toxic than what you fed in and
3 you're going to bury it right back where you got it from. And
4 to me that doesn't sound like a solution; it's an air problem,
5 a water problem and a landfill problem again. So, that's my
6 concern.

7 MS. BETH HOWARD: My name is Beth Howard,
8 9740 Farm Crest Drive, West Chester. We've already got a land
9 pollution, water, and now we're going to have a land-excavation
10 problem. I think it makes no sense to excavate the lagoon
11 especially when the baseline assessment indicated that there is
12 virtually no toxicity information available for many of the
13 compounds that were found in the landfill, 166 different
14 chemicals. They have kept saying all evening that the
15 excavation of the lagoon is going to be the riskier thing that
16 they're going to be doing. They're going to be bulldozing to
17 remove the debris, operating with steam shovels. God forbid
18 you hit something that's going to explode. I don't think the
19 school children can be warned in time to get those kids away
20 safely.

21 I have major problems with incineration. I
22 think it's an outrage that you brought an incineration expert
23 here tonight and have spent most of the evening trying to sell
24 us on incineration especially in this community with what we've
25 been through. I think that Option 3 which provides for the

1 ground water barriers and the capping seems to make the most
2 sense. The site is not much of a hazard to the residents in
3 its present dormant state. I think it should be left that way.
4 I think the waste should be entombed on that site the way we do
5 asbestos, keep it contained to the site, make sure the ground
6 water and surface water doesn't leach out the contaminants, and
7 leave it at that. I think the highest priority should not be
8 treating the waste; it should be the health and safety of the
9 current residents of this community.

10 MS. CHERYL ALLEN: Anyone else?

11 MS. KATIE PERSINSKY: My name is
12 Katie Persinsky, 8595 Monticello Drive, West Chester. I agree
13 with both of these ladies as far as I don't feel you do know
14 what's in there adequately enough. I think that the
15 Feasibility Study has definitely glossed over, bottom line, all
16 the different options. From what I can see there were
17 differences in the end result to a degree, but not enough to
18 justify pumping it up into the air. And like she indicated,
19 the ash can be just as toxic. So, it's just like if you cap
20 what's there, you're probably going to be capping just as
21 dangerous stuff in the end anyway, and meanwhile you're
22 polluting the air.

23 So, I don't care who you are or where you
24 live or how much money you have, everybody breathes air. You
25 can't have an air-tight home. You can't get away from it. So,

1 people that push for this incineration stuff, it's like you're
2 polluting the only thing that no one can renew. It's not like
3 a ground spot that you can move away from. It's air. You all
4 have to breathe it.

5 Further, I just wanted to stress again the
6 issue about who is going to be doing all this stuff, not only
7 who is going to be the incinerator. Obviously there are some
8 very big misgivings as to several companies due to past
9 problems and issues that are actually still going on. But
10 who's going to be doing the excavating, too? We really need to
11 have the ability to have a say in it. If you want these people
12 to really accept your proposals, you really need to make us
13 aware of who you're hiring to do this stuff; because there are
14 just some people we don't trust and we don't want involved in
15 this process.

16 MS. LISA WHITTAKER: My name is
17 Lisa Whittaker again. I reside at 6976 Gary Lee Drive. As I
18 stated earlier, I have been through the Feasibility Study and I
19 do have a lot of problems with it. Again, I'm not angry with
20 EPA. I'm angry with the consultants who put this study
21 together for you. First of all, something that everyone needs
22 to be aware of, sometime last year CLEAN had a meeting with EPA
23 and Ohio EPA, and it was revealed at that time that
24 incineration excavation was being considered at the site. And
25 the consultants at that point were drawing up a Health Risk

1 Assessment not based on any kind of real parameters, but they
2 were coming up with some figures as far as what public exposure
3 would be. It was maybe July or August -- June, I think,
4 of 1991 -- as a result of the figures that the consultants were
5 putting together, EPA -- I believe Sheila Sullivan stated to me
6 and Mark Lahar, former Ohio EPA Project Coordinator at the
7 site, stated to me that EPA was concerned about the results,
8 the figures that were coming up. And I've never seen that,
9 what I call a preliminary health assessment. And I'm a little
10 concerned why that was not included in this Feasibility Study.
11 And I do understand it was not based on any real parameters,
12 but EPA essentially went back to the consultant and said, "You
13 need to make this look better on paper. The risk figures are
14 too high." That's what I'm guessing they said. And
15 essentially EPA drew up some parameters, "We'll excavate a
16 smaller portion of the waste lagoon at one time." I would like
17 to see that draft health assessment because eventually the
18 entire waste pit is going to be open and we still will be
19 exposed to that stuff regardless of what size you're taking out
20 at one time. Eventually it's all going to be opened up. If
21 there is any way that I could see that, I would certainly enjoy
22 a copy of that.

23 There seems to be some concern about a
24 school which is located on Cincinnati-Dayton Road. And I think
25 this is a justifiable concern. Evidently the Ohio General

1 Assembly thought it was justifiable enough to pass a law, Ohio
2 Revised Code 3734.05, which says that the Hazardous Waste
3 Facility Board must do several things before they issue a
4 permit. We're talking about permit process for a hazardous
5 waste facility. And this is one of the listed regulations that
6 the federally-paid has to comply with.

7 Now, EPA is not subject to the permitting
8 process, but they do have to comply with all State and Federal
9 laws. And what I would like to know is how EPA is going to
10 meet the siting criteria of 3734.05 having to do with siting a
11 hazardous waste facility within 2000 feet of homes and
12 residents? I bet you can't answer that one.

13 Again, I have some serious concerns about
14 whether the excavation is even feasible. And, of course,
15 nobody really knows whether the Department of Defense wastes
16 are on site. The only time that off-site treatment is
17 mentioned in this study is as it pertains to either radioactive
18 materials or Department of Defense waste. If we discover
19 explosives or radioactive materials, those are suitable to put
20 on a truck on the road, carry them off to supposedly
21 incinerate, I don't know, treat them somewhere else.

22 Now, I told you before I'm an MB. When one
23 of these things comes to your back yard you'll understand where
24 I am. And I don't want this thing in your back yard any more
25 than I want it in mine.

1 But in 1989 the Ohio EPA drew up the
2 Capacity Insurance Plan. And that plan -- the reason for the
3 Capacity Insurance Plan was under circular law each state was
4 required to show that they had sufficient disposal capacity for
5 their own hazardous wastes. In 1989 Ohio EPA showed that the
6 State of Ohio had more than enough capacity for our own
7 hazardous waste for the next twenty years. Now, we import
8 waste. We're a net importer of waste by about -- I can't even
9 remember anymore. But the thing that I think is real
10 interesting here is in the past what I've asked about off-site
11 treatment. Certainly in this state there has to be a hazardous
12 waste disposal facility which is not located within 2000 feet
13 of a school.

14 I've lost my train of thought. A double
15 standard is here. It's OK to bring in hazardous waste from
16 West Virginia, Pennsylvania, Michigan, Illinois, New Jersey,
17 just about anywhere I'd like to bring waste in; but it's
18 unacceptable to take Ohio waste, put it on the road and take it
19 to a hazardous waste facility which is RCRA-licensed. If there
20 are no RCRA-licensed facilities, I'd like to know that.

21 In theory -- and I agree with the theory of
22 incineration, it's wonderful, it will destroy all of the
23 organic compounds -- there are problems that happen with
24 incineration, as they happen with any other kind of equipment,
25 I suppose -- the theory sounds wonderful and the practice is

1 really abominable.

2 We've got a state-of-the-art incinerator up
3 the road with what I would assume to be the best available
4 technology, otherwise EPA would never have approved of the
5 application for that incinerator. And the fact is that Friday,
6 last Friday, between 11:00 and 11:15 it's blowing out black
7 smoke. And it happens often enough that we don't even bother
8 to call the Air Pollution Control Agency because they come to
9 the driveway and they don't know what they're talking about.

10 I found a Complaint that I filed. It was
11 an odor of burning plastics. I first checked my home to see
12 whether there was electrical wiring that was overheating. I
13 didn't know what the odor was. I still don't know what the
14 odor was. My odor Complaint ended up in the Sewer File. So,
15 even when you have local authorities and local oversight, you
16 know, it's no help. In reality the air pollution control
17 devices are constantly breaking down; and that's why I say to
18 you you've not presented me with your proposed equipment so I
19 can comment on them individually. And I think what EPA would
20 like for me to do is run out and look at all the different
21 technologies, all the different air-scrubbing devices, and then
22 come back and tell you which one I prefer; and then you ignore
23 my comments, anyway.

24 But it's a fact this thing should not
25 operate with any less than two scrubbing devices on it. I

1 truly am disgusted with this Feasibility Study. I don't think
2 that I can express that enough. Something which I find
3 interesting and maybe it has no bearing on the remediation of
4 this site, EPA failed to characterize the waste. Is it
5 hazardous waste? We think so. If it's a hazardous waste, then
6 most definitely it should be stored and should have been stored
7 in a RCRA-licensed facility under the guidelines of the
8 Resource Conservation and Recovery Act. I think -- you know,
9 I'm hoping at some point EPA will characterize the waste and
10 I'm sure this will be something addressed in the design stage
11 as well as all the other comments. I would really like to see
12 EPA go back, fill in the blanks on this Feasibility Study, give
13 the public the opportunity to comment on the Feasibility Study,
14 and then allow us to comment on the proposed plan. Give us
15 what you're basing your plan on, give us that information so
16 that we can make an educated either approval or criticism of
17 your plan.

18 Thank you for listening.

19 MS. JACKIE GORDON: My name is
20 Jackie Gordon and I live at 9842 Talldrill Drive. I'm not
21 nearly as informed as some of the people seem to be, but it
22 seems if we excavate this ground and then incinerate, we're
23 going to have airborne particles, contaminated particles, in
24 our air. As far as I know, nobody has given us any indication
25 of how far these contaminants will travel, if they're going to

1 settle in the ground, in the water. We're being told that the
2 ground water is not going to be polluted, but this stuff has to
3 come down somewhere. Is it heavy? Is it going to land close
4 to the facility? Is it going to travel? I don't know.

5 I also know from my own business background
6 that the State tends to promulgate rules and regulations and
7 provide inspectors for things, and, you know, there aren't
8 enough inspectors. They don't show up. They're supposed to
9 come annually at my husband's business, and you see them twice
10 in a fifteen, sixteen-year period. I don't trust anybody
11 policing this facility. I'm not sure how I think it should be
12 handled, but I have serious concerns about contaminants in the
13 air.

14 CARL MORGENSTERN: Carl Morgenstern,
15 5759 Woodbridge, West Chester. We're in a curious predicament
16 here. We don't have any public officials that are fighting for
17 the people. You have seen a lot of people talk here; and
18 they're very bright, smart, intelligent people, in spite of
19 what everyone else says of all the people who come here. They
20 ask simple questions. And in all honesty, you can't answer
21 them. That's not the way to conduct a public hearing. We
22 can't go -- the people here cannot go to our trustees; they're
23 not concerned with helping. We can't go to our commissioners;
24 they're all developers. We can't go to Governor Voinovich;
25 he's not an environmentalist. We have no place to turn. If I

1 had two kids -- I asked my wife, "What would you do if we were
2 going to send two kids to Union School?" She said, "I'd yank
3 them out right away." We're begging you to help us. We can't
4 turn to the other place. We turned to Ohio EPA, and they
5 screwed us badly and are still doing it. So, we go to
6 U.S. EPA, and I think we're going to have the same result.

7 You folks have to go back. We have some
8 young people here. We have some older people with a lot of
9 experience. You have a duty and responsibility to the
10 constituency of this community. We're coming to you, asking
11 you to protect our kids and community. You want to spend
12 30 million dollars? Fine, spend 60 million dollars, but do the
13 job right; OK? These people are not idiots; they understand;
14 they're American people who are seriously concerned and coming
15 here at ten o'clock at night when they should be at home going
16 to bed. It's your responsibility to analyze this. And in all
17 frankness, folks, you don't know what's going on. You don't
18 have answers for these people. That's not fair. They're
19 entitled to have answers. Give us a break. We can't depend on
20 our local officials. There's nobody protecting the people in
21 our community, and you're the people that have to protect us.

22 The main thing, also, we don't have anyone
23 from the school board now. We don't have anyone fighting for
24 our kids. I don't have any kids in the school, but I'm
25 concerned about 800 kids at Union Township. Some provision

1 should be made in the Superfund Site as part of the expense to
2 let them go to private schools or bus them to Hamilton or
3 someplace else; put them there for a year or two until the
4 thing is finished. That's the basic responsibility you have to
5 our kids and people here. Don't let us down. You've got to
6 help us.

7 MR. LAWRENCE BERKLEY: Lawrence Berkley,
8 9972 Thornwood Court. I would like to just add to one of the
9 issues that Carl raised about kids in the school. And that is
10 that all of the risk assessments that we've heard tonight, as
11 far as I can see, and having read through the Feasibility
12 Study, the classical seventy-year dosage calculations -- what
13 concerns me about this site are the short-term heavy doses as a
14 result of an accidental fire or an explosion. And we have to
15 take that seriously. And I know that EPA took it seriously,
16 the risk of explosives being on this site; yet we see nothing
17 in the Feasibility Study about those short-term, high exposure
18 risks. And until we see some in-depth assessment of that, I
19 don't think we should proceed forward with Option 5. Option 3
20 is a much more safe approach if you consider the people in the
21 immediate vicinity.

22 MR. BRUCE SANTORO: My name is
23 Bruce Santoro, 6443 Locust Street. I've got concerns about the
24 well water. We're on well water also, and I'd like to know by
25 the next meeting when you'll be testing the water and if that

1 will be on a regular basis, the date that the City water will
2 be hooked up? And also will you be taking steps to provide
3 bottled water for the community, for the citizens of the
4 community who are on well water right now? And also when is
5 the next meeting so that we can know when this is going to take
6 place?

7 MS. KATHERINE STOKER: My name is
8 Katherine Stoker, 6979 Hidden Ridge. I would like to say that
9 I am very concerned, and I hope that you will be concerned
10 about the lack of confidence which is being expressed here. We
11 went through a very similar routine with the hearings from the
12 Ohio EPA for the BFI's infectious medical waste permit. We had
13 the experience of sitting there -- hundreds of people turned
14 out, voiced their concerns; the members of CLEAN got up and
15 cited chapter and verse from Ohio Revised Code. And it became
16 apparent as months went by that the whole purpose of the
17 hearings was for the people to come down, voice their concerns
18 so that they could feel as though somebody listened; but no
19 effect was made on the decision. It became apparent that all
20 decisions were made beforehand and out of sight and people's
21 comments carried no weight.

22 As an example of that I would like to use
23 Mr. Silverman's -- Right, Fred Silverman? Fred, what's your
24 last name?

25 MR. FRED PARKER: Parker.

1 MS. KATHERINE STOKER: I'm sorry -- Fred's
2 comments, that, because in their sample excavations and borings
3 they had found no munitions, so therefore they decided there
4 were no munitions and totally disregarded it. That's
5 frightening to me. There are people in this community who know
6 far more what is in that lagoon than you do. Now, these people
7 have come, members of CLEAN, and privately expressed these
8 concerns and actions of things that they have firsthand
9 knowledge of but are afraid because of personal reasons or
10 financial reasons to express them publicly and admit to them.
11 And because it didn't fit in, apparently, with your agenda, it
12 appears to be getting sloughed off. The problem is you people
13 are in Chicago; am I right? We're right here. If something
14 blows up, you guys are in Chicago. We're playing You Bet Your
15 Life right here in West Chester.

16 UNIDENTIFIED SPEAKER: Chicago is not such
17 a great place to me, either.

18 MS. KATHERINE STOKER: We need to feel your
19 concern. We went through this whole permitting and hearing and
20 exercises before and discovered that county, state and federal
21 laws were totally disregarded with impunity. We have the
22 incinerator down the road, "State-of-the-art, not to worry."
23 It's breaking down all the time. It is constantly in
24 violation, regularly in violation, direct violation. But does
25 anything still happen? They're still burning the stuff,

1 emitting mercury, and it's jogging right along. Nobody is
2 protecting us there. There are laws that say that place should
3 shut down. When it is these kind of violations you say, "Don't
4 worry. We have laws. We have permits. We have safety
5 procedures. We have regulations." I'm sorry, we have seen the
6 U.S. and the State EPA regulations at work and it's no
7 regulation.

8 So, there is a real problem of trust here.
9 We want to trust you, but right now we don't want to bet the
10 lives of our children that we can trust you. We need something
11 more from you, not just from you, but from the regulatory
12 agencies as a whole. We need to have you -- and when I say
13 "you", I'm talking about the U.S. EPA; I'm talking about the
14 State EPA -- enforce your laws. Don't come to us and say
15 "trust us", when we can see what you're not doing down the
16 street that you should be doing. We can't trust you. We would
17 like to. We want to. We need to. But many of us don't
18 because we have the evidence right down the street that we
19 cannot. We cannot trust our local trustees to help us out. We
20 can't trust our County Commissioners. Let's see a show of
21 hands of elected officials here in the room? Elected
22 officials? Elected officials? Dick Aldridge promised to
23 insure a safe environment in his acceptance speech in the
24 paper. Where is Dick Aldridge?

25 Members of CLEAN? How about members of

1 CLEAN who have been working? We have a real credibility gap
2 here. And my heart is not warmed when I hear Fred say, "Well,
3 OK, a couple of flame throwers." But there weren't any
4 munitions there? I'm worried. My child doesn't go to Union,
5 but if he did I'd be making plans to put him someplace else.
6 And I would like to see you include in your plans either the
7 funding of children to the local parochial schools or funding
8 for Butler buildings or other buildings to move those kids out
9 of that Union area. They were building a school anyway; move
10 those children into some other area. Because I don't want to
11 bet the lives of the children of this community that there are
12 no nerve gases or explosives; and they are too precious.

13 And like I said, we have a real credibility
14 problem, and I'm worried and I think a lot of other people are
15 worried. And I don't hear from you any apparent realization
16 that this concern is here.

17 MR. MARK LEEHART: My name is Mark Leehart.
18 Up to May 1st I was the Site Coordinator for Ohio EPA working
19 on the Skinner Site. I currently work outside the Agency with
20 a private consulting firm; and I'm actually very sorry I was
21 not able to stand up here to give you some background or
22 information from the State of Ohio's point of view.

23 From my personal experience working with
24 the site -- You guys had a lot of questions that may or may not
25 have been answered. And from my own personal viewpoint of

1 working on the site and knowing that -- at least on the surface
2 I've been told that CLEAN at least has a little bit of faith in
3 me, I can say that I personally believe this remedy is a very
4 good one, notwithstanding the fact that I did work on it. Each
5 of the remedies that you've heard or were informed about with
6 the exception of the No Action Alternative -- each of those
7 remedies were looked at based on risk. Even though they
8 weren't looked at as far as a single Risk Assessment, those
9 alternatives were each designed to meet the one in one million
10 criteria for the safe level that the State and the Federal
11 Government considers adequate as far as cancer risk. Each of
12 those alternatives, whether any one of them would be
13 chosen -- each of those would meet that criteria. It's a
14 matter of degree afterwards which of those alternatives is
15 going to be better. Whether you just cap it, you're still
16 going to meet the one in one million criteria. If you
17 incinerate it, it's going to be better than that because you're
18 going to be removing a major source of the problem; and instead
19 of your children's children having to worry about some ground
20 water getting out of the landfill which was only capped and the
21 cap was breached and now materials are again moving to Mill
22 Creek, maybe by incinerating the vast majority of that material
23 where we know it's located at we can say that several hundreds
24 of years from now there may be a problem, but by that time, who
25 knows, maybe the stuff will have naturally biodegraded or

1 whatever.

2 But a lot of questions have been raised on
3 this issue of incineration. A lot of that stuff is not that
4 finely detailed as far as the design of the system. We know
5 the system is going to work. We know what the chemicals are
6 out there, we know the system will handle those chemicals. We
7 know what things need to be added to the incinerator as far as,
8 yes, we know we're going to need scrubbers or some type of air
9 emissions control. We know there will be metal left over
10 afterwards in the ash and those levels will be solidified
11 afterwards and put back into the landfill where they will
12 become immobile. Some metal will volatilize and we need to
13 capture those.

14 There's a lot of questions to answer. And
15 I would encourage everyone here to look to the details that
16 need to be resolved on this Alternative and understand that
17 while we can't -- not "we" anymore -- they can't give you all
18 the answers that you're really looking for at this point in
19 time, please understand that out of everything that we look at,
20 while it wasn't finely detailed in the Feasibility Study all
21 the pros and cons of each of the technologies we have -- we
22 could have looked at -- or each of the technologies we could
23 have put in series to clean-up the site, understand that
24 incineration is the best alternative with respect to removing
25 the most contamination possible and making it safer for you

1 guys down the road.

2 MS. DOVE LONG: My name is Dove Long,
3 6354 Melrose Way. I'm concerned about the confidence the EPA
4 is using in saying that it's certain that the incinerator will
5 take care of the problem, will take care of the compounds that
6 are in there. If they found flame throwers -- they won't even
7 tell us where -- they don't know what's in there. If that's
8 the truth what's in there, fine. But they don't know what's in
9 there. So, until they do more probing and really understand
10 what's in there, I don't think that any solution can be termed
11 truly feasible.

12 Also, this seems to be our last chance to
13 say what we think about this. We've come up with all these
14 questions tonight and they're telling us -- this nice gentleman
15 told us that we should be concerned, we should continue to look
16 into how they answer these questions in the design review or
17 design study, whatever. If we're not going to have a chance to
18 respond to those, it doesn't make any difference. We need to
19 have an opportunity to say, "Hey, this doesn't sound right to
20 me. I've seen questions on this." If this is our last chance,
21 we're not going to have it. Please give us another chance.

22 Thank you.

23 MS. CHERYL ALLEN: Anyone else?

24 MR. DAVID GULLY: My name is David Gully,
25 7817 Plantation Drive. I would agree with the last lady that

1 spoke. I would say that because of the questions that weren't
2 answered this evening, it would be useful to the community if
3 we could get answers to some of these questions and then have
4 another opportunity to make comment on them.

5 One of the concerns I have is that since
6 you don't really know what's in the subsurface of the site, you
7 start excavating in there, if there is an incident on the site,
8 the Township is going to be the first responder to the
9 incident, whether it's an explosion or a fire or a cave-in or
10 something like that. And I'm real reluctant to send our people
11 in there if we don't know what's there, if you don't know
12 what's there.

13 Additionally, I wonder if -- There's no
14 fire hydrants that I know of on the site. If there is a fire
15 there -- you're introducing fire to these. This is an
16 incinerator -- if there is a fire with the incinerator or the
17 soil catches on fire, how is that going to be dealt with? I
18 don't see where that's been considered at all. I'd certainly
19 like to see these questions answered, give us a chance to
20 evaluate the answers to the questions, and then have another
21 opportunity for public comment.

22 MS. CHERYL ALLEN: Any more comments?

23 MR. MARCE OSNER: Marce Osner,
24 8700 Cincinnati-Dayton Road. I am closer to the site than the
25 school. I don't know what all the answers are, but I would

1 hope you have a copy of the 1976 court settlement that was made
2 in Hamilton as giving details of what's in that. There is
3 facts and figures of what's in there.

4 I disagree -- or I don't say I
5 disagree -- I have a little different opinion than what most
6 people have here. I see there is no trust of the EPA for the
7 past things and there probably never will be. And I don't care
8 what answers you bring back here to certain questions. Some of
9 these people will never trust you anyway, I'm sure of that.
10 But my thinking is this. According to the Court suit in 1976
11 it went into detail as to some of the things that are in there
12 and it will tell you in there that certain things in there
13 apparently are segregated at this time. And the place where
14 they become dangerous is when they get together and mix and
15 form something else.

16 Now, if you're going to do anything with
17 it, I think it has to be done pretty quick. You take 1976,
18 that's sixteen years ago. The drums are going to be mighty
19 thin or else they're already ruptured in that ground. That
20 lagoon is not far from the East Fork. It sits up the hill from
21 the East Fork. Now, if that's going to get down into the water
22 and come down to East Fork, that can go clear on down and do a
23 lot of contamination.

24 Also in that 1976 court case it told in
25 there about the same things you people said here, about

1 possibility of cancer causing from that. Now, I've been there
2 all that time right next to it and I'm not too happy that it's
3 there. I'm very unhappy it's there. But I'm also wondering
4 which is the biggest chance, to keep continually delaying the
5 operation, or getting in there and taking the chance and
6 getting it out of there? I think people are going to have to
7 realize -- or at least I realize that -- I don't care if they
8 wait ten years for you people to come back with answers, you're
9 not going to come back with all the answers and there's no way
10 that anybody can guarantee us of everything that you're going
11 to find in there and all the problems they're going to hit.

12 And I don't care if they go in there and do more checking,
13 there's things that might be in there that you won't find.

14 And if the people here are wanting an
15 ironclad decision of what's going to happen and have all the
16 answers from you people, then you better just leave it alone
17 and gamble down the road. But if anyone has ever went to any
18 of these meetings put on by the Water Conservation Agency -- I
19 believe that's the name of it -- out of Columbus -- I attended
20 one in Cincinnati -- of all the wasteland in this country, due
21 to the fact that these type things are sitting there and
22 nothing done about them, which is the greater risk, that we
23 wait to try to get ironclad answers to every question so we
24 make everybody happy, or we sit there and let it erode and
25 something develop out of it that you may not be able to stop

1 once it starts? And I would certainly think that a lot of
2 thought ought to be given by everybody as to what we should do
3 with it and naturally convert all the mistrust here.

4 And I can't deny some of it is valid, but I
5 would say we got to get our heads together real quick, we
6 either do or don't, because those barrels are probably ruptured
7 by now and who knows what they're getting ready to mix together
8 and get into that water stream. Once it gets into the water
9 stream it's ruined, there's no way you people or anybody else
10 can get in the ground. Look at all the water that lays there.
11 If there's any possibility of that going on now and getting
12 into the big water aquifer down here -- there might not be any
13 chance of that, I don't know. I don't know that much about the
14 ground. If you're not aware, the biggest water aquifer in the
15 State of Ohio lays right down here off of Windisch Road. Now,
16 if for any reason something like this would ever get that far
17 and contaminate that, then you really got problems, you will
18 destroy one of the biggest water reservoirs in Southwest Ohio.

19 As I say, that may not be possible, I don't
20 know, but it's a potential, and all it would take was a little
21 earthquake or something to crack the ground. And I recall when
22 they put I-75 in and I had a well in my side yard; they made
23 three blasts on the hill, and my well went dry. So, no one can
24 tell me that a few rumbles of the earth can't change the flow
25 of the water in a darn big hurry. If something like that ever

1 happens or something out of there gets into that East Fork,
2 we've got more problems than we're talking about here tonight.

3 So, I don't know what the answer is, but I
4 think people are going to have to realize if they're ever going
5 into that thing, there's chances. And if there are anybody
6 sitting here tonight that think that you people are going to
7 give us a 100 per cent guarantee of something, you might as
8 well forget it because it's not possible; you're going into
9 some unknowns, and when you go into unknowns you have potential
10 of problems that you don't know what's in there. And I don't
11 care how much precaution we take or what, there's no way to
12 guarantee to the people in this room that there's 100 per cent
13 safety. So, I would say to the people that are in here that
14 are looking for 100 per cent safety, it's not going to be. And
15 as I say, I'm closer to that -- I'm the closest house, I think,
16 to that site and I am willing to take my chances, that it ought
17 to be gotten out of there for the good of the community.

18 And I would close.

19 MR. CARL MORGENSTERN: Why didn't you stop
20 Skinner from putting it in there?

21 MR. MARCE OSNER: Let me tell you,
22 Mr. Morgenstern, I fought that god damn thing from the day they
23 started putting it in there and I was in Court more than
24 anybody else in Union Township. And at the time that we went
25 in there we couldn't stop it. And I can tell you on the

1 outside why it wasn't stopped.

2 MR. CARL MORGENSTERN: OK. I checked the
3 1976 --

4 MR. MARCE OSNER: Don't tell me that no one
5 fought that because there was reasons that it wasn't stopped
6 and I know what they were.

7 MS. SHIRLEY FARMER: Shirley Farmer,
8 7249 Hamilton-Mason Road. This happened sixteen years ago. I
9 know it was reported numerous times to you people many, many
10 years ago. Isn't it sad that we are here sixteen years later;
11 you're worrying about our trust in the EPA? This is why
12 there's no trust. It was reported. We wouldn't have that much
13 contamination there if they had stopped it. We told them, but
14 nobody cared; and now we'll probably come back many years later
15 with BFI with the same problem.

16 MS. CHERYL ALLEN: Anyone else? I guess
17 we'll close here. We'll be around to answer questions. And I
18 will be letting you all know when we'll be having the
19 incineration workshop. We'll be notifying you as to when the
20 incineration workshop will be within the next couple of weeks.

21

22 (PUBLIC MEETING CONCLUDED AT 10:10 P.M.)


23

24

25

C E R T I F I C A T E

I, Kelly A. Graff, a free-lance court reporter
in Hamilton, Ohio, do hereby certify that the preceding
94 pages were recorded by me in stenotypy and transcribed into
typewriting and are a true and accurate copy of my stenotypy
notes.


Commission Expires 12/1/94